



**Oral Hearing**

**Day 76 – Thursday, 7<sup>th</sup> December 2023**

**Being heard before: Ms Christine Smith KC (Chair)  
Dr Sonia Swart (Panel Member)  
Mr Damian Hanbury (Assessor)**

**Held at: Bradford Court, Belfast**

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

---

**Gwen Malone Stenography Services**

INDEX

	<u>PAGE</u>
Mr. John O'Donoghue Examined by Mr. Wolfe KC	3
Lunch adjournment	67
Questioned by the Inquiry Panel	108

1 THE INQUIRY CONTINUED, AS FOLLOWS, ON THURSDAY, 7TH  
2 DECEMBER 2023

3  
4 CHAIR: Good morning, everyone.

5 1 Q. MR. WOLFE KC: Good morning, Mr. Donoghue. welcome 10:06  
6 back and thank you for coming on that miserable  
7 morning.

8  
9 You were last with us on 11th October. Apologies that  
10 I was hospitalised, I'm not sure that you were the 10:06  
11 cause of that, and the conclusion of your evidence has  
12 been delayed.

13  
14 Just for your note, members of the Panel, the  
15 transcript for Mr. O'Donoghue's first day of evidence 10:06  
16 is to be found at TRA-08452 and it runs through to  
17 08592.

18  
19 Just by way of recap, Mr. O'Donoghue, you'll recall  
20 that we covered a wide range of issues associated with 10:07  
21 your experience of working in the urology department of  
22 the Southern Trust since August 2014, and your evidence  
23 included discussion of methods of working, aspects of  
24 the multi-disciplinary team mode of working, which  
25 we'll look at further today. Urologist of the week, 10:07  
26 we'll commence this morning by just going back on a few  
27 aspects of that. we looked at management arrangements,  
28 governance arrangements, including appraisal, incident  
29 reporting, SAI, and the Patient Safety Meeting.

1 We spent some time focusing on stent management and the  
 2 sign off of results. We also looked at the role of  
 3 admin support and the delegation of tasks, and we took  
 4 some account of the environment in which you worked in  
 5 terms of the pressure placed on services and the impact 10:08  
 6 of that pressure on staff and patients. I think  
 7 we closed on the last occasion, having had a fairly  
 8 in-depth look at triage?

9 A. Yes.

10 2 Q. I just want to commence this morning by going back 10:08  
 11 a step into triage and just asking you a few questions  
 12 in terms of triage and its impact on other urology or  
 13 urologist of the week duties.

14  
 15 Could I ask you this: Did the emphasis, if that's the 10:09  
 16 right word, which was placed on the need to complete  
 17 triage when Urologist of the week, did that impact  
 18 markedly on the other duties that were fundamental to  
 19 the UOW model? Here I'm thinking, obviously you were  
 20 responsible as Urologist of the week for the care and 10:09  
 21 oversight of all acutely admitted and electively  
 22 admitted patients, and you also had an advisory role  
 23 across the three hospitals in the Southern Trust  
 24 estate, patients coming in to the emergency department  
 25 and other inpatients, for example, with urology 10:10  
 26 problems. It's a long way round to get back to the  
 27 question: Did triage impact markedly on the time that  
 28 you could give to these other duties?

29 A. Well, it didn't take away from the other duties.

1 I managed my time, I think, reasonably well. I mean,  
 2 triage I usually did later in the day when the other  
 3 activities had all been completed, so when patients had  
 4 been taken to theatre, when the ward round had been  
 5 done and more urgent things had been dealt with. So if 10:10  
 6 I needed to stay in the evening, I stayed in the  
 7 evening and did it. So, you know, I could be triaging,  
 8 8, 9, 10 o'clock at nighttime but I completed it on the  
 9 day, it was done every day. It wasn't at the expense  
 10 of other activities, it was a lot of work but I don't 10:10  
 11 think other activities suffered.

12 3 Q. Maybe another way of looking at it is that the emphasis  
 13 on triage diminished the time that you could and would  
 14 otherwise might have liked to give to the other duties  
 15 associated with UOW? 10:11

16 A. No, again, I think I spent enough, the amount of time  
 17 needed on the other activities, I spent on those  
 18 activities. Triage was something that didn't need to  
 19 be done immediately and so it was dealt with when I had  
 20 time to do it. So I didn't sort of cut corners in 10:11  
 21 other activities or do less in the other activities at  
 22 the expense of triage.

23 4 Q. One of the things you spoke about on the last occasion  
 24 was the ward round when, I suppose Thursday morning, if  
 25 my recollection is right -- 10:12

26 A. That's right.

27 5 Q. It had been built into the model, at least originally,  
 28 that the person ending his UOW week would hand over to  
 29 the incoming consultant. I think you explained to us

1 that that has now fallen away. I think I took from  
 2 your evidence that it has fallen away completely, at  
 3 least so far as your arrangements are concerned, and  
 4 it's more typically done and more conveniently done,  
 5 I think you said, over the phone the night before you 10:12  
 6 would come on --

7 A. Or the morning after because admissions would come in  
 8 overnight, so you would do that in the morning.

9 6 Q. Yes. And I'm not sure if you used the term 'it was  
 10 a better use of time' to do it that way, but I think 10:13  
 11 that was the impression that you gave me, and gave us?

12 A. Yes, I think you're quite right and I probably did use  
 13 that term. I felt that morning ward round went on for  
 14 most of the morning, particularly when Mr. O'Brien used  
 15 to hand over to me which went from 9 o'clock in the 10:13  
 16 morning until practically 1 o'clock. It might have  
 17 been Mr. O'Brien being overly verbose, spending a lot  
 18 of time on each patient, not necessarily gleaning  
 19 anything useful for a lot of the patients, the sicker  
 20 patiently certainly but that information can be -- you 10:13  
 21 don't have to be standing next to somebody to relate  
 22 what's going on with a patient.

23 7 Q. Could I bring you to a minute or a record of the  
 24 Urology Service Development Meeting which took place in  
 25 September 2018, AOB-81797. I don't know if you recall 10:14  
 26 this. I think the meeting took place 24th  
 27 September 2018. You joined the meeting late, it would  
 28 suggest. And just there was a discussion of the  
 29 Urologist of the week model and it says that:

1  
 2 "This topic was discussed tentatively with each  
 3 consultant able to contribute to the discussion. The  
 4 consensus was that the inpatient ward round was of  
 5 prime importance requiring consultant presence. The 10:15  
 6 structure for referral and advice provided needs to be  
 7 improved and where possible definitive care should be  
 8 delivered during the current inpatient stay."

9  
 10 The word consensus suggests agreement across the team 10:15  
 11 that the ward round was of prime importance. This is  
 12 September 2018. Was that your view or did you share  
 13 that view at the time with colleagues?

14 A. I'm sure I did at the time, if it was consensus, but  
 15 I think things evolve. And I think as the years went 10:16  
 16 by, I think it was -- I probably didn't agree with it  
 17 as much, probably after Mr. O'Brien retired. Because  
 18 I felt five hours of not contributing much apart from  
 19 very sick patients, the patients -- when you could be  
 20 doing other things was probably a waste of time. 10:16

21 8 Q. Yes. The current position where you don't have  
 22 a formal ward round but conduct it essentially remotely  
 23 by telephone with your partner, when I say partner, the  
 24 person handing over to you; is that the approach now  
 25 across the urology team at Southern Trust? 10:16

26 A. To the best of my knowledge, because it works very  
 27 well. We have also reconfigured how the registrars  
 28 work, because the registrar who has been on earlier on  
 29 in the week is also on the Thursday. So they actually

1 know the patient even better than the consultant  
2 because they're on the ground, they're seeing the  
3 patient all day. The junior doctors are there. So  
4 it's probably better for the consultant coming on that  
5 way, I think. Because doctors who see the patients 10:17  
6 every day will know the patients intimately. The  
7 consultants see them in the morning on the ward round  
8 and that's it.

9 Q. I've put to you or asked you to respond to the  
10 suggestion that putting priority on triaging might have 10:17  
11 compromised the time that you could spend on other  
12 duties, and you've dealt with that. I suppose,  
13 conversely, did these other duties associated with UOW  
14 compromise or impact on the time that you would have  
15 liked to have spent on triage? 10:18

16 A. Well, there are always competing duties for a doctor  
17 and, you know, if you're going to theatre you can't  
18 triage. But going to theatre is obviously more  
19 important than triaging because the patient is an  
20 emergency. So, again, it's prioritisation. 10:18

21 10 Q. You explained on the last occasion that when you were  
22 urologist of the week you had to spread yourself,  
23 I think you used the term "sensibly and safely", and  
24 that the sheer numbers of referrals coming in precluded  
25 you from booking investigations for them all or for all 10:19  
26 that might otherwise have been appropriate to book.  
27 You had to be selective, was the term that you used.  
28 You would recognise, I think, the scenario that if  
29 a patient is referred in as routine or urgent, the



1           likelihood is that they are not going to be seen at  
 2           a clinic for some time. Is that something you  
 3           recognise?

4           A.    Yes, but in saying that, GPs may prioritise a patient  
 5           incorrectly, so you have to read it carefully. If a GP 10:19  
 6           has referred a patient with an elevated PSA as routine,  
 7           one would obviously upgrade that to red flag.

8    11    Q.    Of course?

9           A.    So you obviously don't just follow what the GP writes.

10   12    Q.    Yes. I suppose my point is a slightly different one. 10:20  
 11           where you have routine and urgent referrals coming in  
 12           and you are not able to find the time during urologist  
 13           of the week to go through them other than to confirm  
 14           that they are urgent or routine, and not take any  
 15           additional steps by way of investigation, does that 10:20  
 16           create a risk for a patient where they're not going to  
 17           be seen at an outpatient's clinic for 12 months or  
 18           longer, given the waiting lists that were in play?

19           A.    I suppose it may do in that you're only as good as the  
 20           information that's related to you by the GP. But, in 10:21  
 21           saying that, I look at NIECR anyway so I get a feel for  
 22           what's going on with the patient. So a patient whose  
 23           coming in with voiding difficulty doesn't necessarily  
 24           need a scan. In fact, if they are going to be seen  
 25           a year down the line, the scan is going to be -- you 10:21  
 26           would have to repeat the scan, probably, anyway. So  
 27           I think you've got to look at it sensibly, and those  
 28           patients, you know, you -- I think patients who need  
 29           scans more urgently could end up suffering at the

- 1 expense of patients who don't need scans more  
 2 immediately. You can also overbook, you know,  
 3 overburden the extra service, although that wouldn't be  
 4 something in my mind.
- 5 13 Q. Should I interpret your answer as painting a picture of 10:22  
 6 scans are booked as a result of the triage process in  
 7 all cases, whether routine, urgent or red flag where it  
 8 is appropriate or, just to be clear, are you finding  
 9 yourself in a situation where you're being selective  
 10 and not booking scans for some routine and urgents 10:22  
 11 because you know that the system wouldn't be able to  
 12 cope, wouldn't have the capacity to cope with that kind  
 13 of approach?
- 14 A. Scans would be booked, I think, where it is clinically  
 15 indicated, where I think where a patient needs a scan 10:22  
 16 in the foreseeable future. I don't book scans for  
 17 every single patient that I triage.
- 18 14 Q. And where you don't book a scan, is that simply  
 19 because, having reviewed the referral papers quickly,  
 20 as you must do to move on when you are the Urologist of 10:23  
 21 the week, is that because at that time you have reached  
 22 a clinical decision that it is not urgent or necessary  
 23 to have a scan booked at that time?
- 24 A. Yes, that would be my decision making. So I would  
 25 decide the patient doesn't need a scan at that time. 10:23
- 26 15 Q. Could I ask you just a practical question. Do you  
 27 think that enhanced or advanced triage could be  
 28 effectively undertaken by personnel other than  
 29 consultants?

- 1 A. It could be undertaken by a Clinical Nurse Specialist,  
 2 certainly, with wide experience, I would have thought.
- 3 16 Q. You had spoken a moment or two ago about the need, when  
 4 looking at referrals, to be careful to position  
 5 yourself so that you're able to upgrade, where it's 10:24  
 6 appropriate to upgrade, such as from urgent to red  
 7 flag?
- 8 A. Yes.
- 9 17 Q. Do you consider that the pressurised environment, which  
 10 is the lot of the Urologist of the week, you explained 10:24  
 11 on the last occasion how, I think you said you didn't  
 12 like it very much because it was so busy. If that's  
 13 a false memory you can correct me. But you gave the  
 14 impression of an extremely busy environment. Maybe  
 15 just deal with that? 10:25
- 16 A. Well, as a personality I don't like lots of competing  
 17 things at the same time anyway, whether it is a work  
 18 environment or any environment.
- 19 18 Q. Do you think that that environment placed you at any  
 20 risk of not having adequate time to always correctly go 10:25  
 21 through the process necessary to determine whether  
 22 a referral needed upgraded?
- 23 A. No. I think I would have examined each of them as  
 24 carefully as I could. But, human nature being what  
 25 human nature is, you can never get something right 10:25  
 26 100 percent of the time. So if you're looking at 50  
 27 referrals, you may get it wrong. But, I mean, whether  
 28 you have an hour to do it or ten hours to do it, you  
 29 can still make that error, it's human nature. So I'm

1           sure that 100 percent of the time I didn't get it  
 2           right. I would be foolish if I said I did.

3   19   Q.    Yes. Could I refer you to one case, it concerns  
 4           a Patient 205, which you may recognise the name from  
 5           the -- so we'll deal with the number as opposed to the 10:26  
 6           name on the designation sheet. There's a record of an  
 7           MDT meeting concerning this patient. If we can pull up  
 8           AOB-80120, and just at the bottom of the page we can  
 9           see reference to this patient?

10          A.    Yes. 10:27

11   20   Q.    The name has been removed, which is why I was  
 12           struggling to recognise it. It is Mr. O'Brien's  
 13           patient.

14          A.    Yes.

15   21   Q.    The MDT is taking place in November 2017, and the 10:27  
 16           suggestion that is made on Mr. O'Brien's behalf is that  
 17           you triaged this patient in or about May of 2017  
 18           pursuant to an urgent referral and didn't upgrade it,  
 19           the suggestion being that it would have been an  
 20           appropriate case for upgrade. Subsequently, a CT 10:28  
 21           urogram was arranged in July of that year leading to  
 22           a diagnose of right ureteric carcinoma for which a  
 23           right nephroureterectomy was performed in November of  
 24           that year. Do you remember the case?

25          A.    I don't. And I've only seen this in the last hour, and 10:29  
 26           so I probably need to see the original paperwork before  
 27           I sort of give any pronouncement on my decision making.

28   22   Q.    Yes. I did ask you in the general, before coming to  
 29           the specific, and I think you fairly admitted that

- 1 everyone is -- you are, like everyone else, capable of  
2 human error.
- 3 A. Absolutely, yes.
- 4 23 Q. And you accept that there may obviously be cases where  
5 an upgrade should have been the decision. 10:29
- 6 A. And if I had seen haematuria, visible haematuria  
7 I would certainly have upgraded it to red flag. So  
8 that certainly would have been a red flag.
- 9 24 Q. So if the referral had come in mentioning haematuria,  
10 the correct decision would have been to upgrade. If 10:30  
11 the referral didn't mention haematuria, you would  
12 forgive yourself for not upgrading, but if it did you  
13 would...
- 14 A. Yes, but I suppose one can also say the patient was  
15 triaged on the day that the patient was seen and so the 10:30  
16 patient got into the system and was picked up, so the  
17 patient was triaged, albeit red flag would have been,  
18 certainly, if it was sent in -- if the referral letter  
19 had mentioned haematuria, certainly I would have  
20 upgraded to red flag, maybe. But I don't know the 10:30  
21 particular circumstances.
- 22 25 Q. Yes but back, I suppose, to my original point. Is the  
23 pressure of time a factor in terms of your ability and  
24 your colleagues' ability to get this right, or do  
25 you stand by the point you made earlier that you could 10:31  
26 still make a mistake, even with the luxury of time?
- 27 A. I think it's human nature. You know, I wouldn't rush  
28 through triaging because it's a recipe for disaster.  
29 So I'm sure if I had ten hours and I had missed it, it

- 1 would happen anyway because you can never get anything  
 2 100 percent right all the time. But triaging, you  
 3 know, it is important to triage because at least the  
 4 patient will get into the system and hopefully the  
 5 other mechanisms along the way will pick this up as, 10:31  
 6 seemingly, it had been picked up. So the patient  
 7 wasn't sitting, not triaged.
- 8 26 Q. The suggestion would appear to be that at the time you  
 9 were triaging the patient it would have been  
 10 appropriate to request a CT urogram. Again, you can't 10:32  
 11 answer specifically whether that would have been an  
 12 appropriate decision for you at the time, but -- sorry,  
 13 go on?
- 14 A. Visible haematuria would have certainly made me book a  
 15 CT urogram. 10:32
- 16 27 Q. Is that a time consuming process to arrange that during  
 17 the triaging process?
- 18 A. It adds on another five or six minutes because it is  
 19 done online. You have to go into the X-ray part of the  
 20 patient's record and you have to enter all the details. 10:32  
 21 If you miss a detail, the record won't -- it won't go,  
 22 so you have to make sure you have all the boxes ticked.  
 23 So it is five or six minutes usually.
- 24 28 Q. Yes, but that's --
- 25 A. And you have to put clinical details, obviously, so... 10:33
- 26 29 Q. So it is time consumption to that extent but it doesn't  
 27 appear, from your answer, to be suggesting  
 28 a disincentive to doing it properly?
- 29 A. No, it wouldn't be a disincentive, no. If the patient

1 needed it doing, it would be done.

2 30 Q. Just going back to a particular point that you made in  
3 association with Mr. O'Brien's practice around triage.  
4 If we can bring up your statement at WIT-50551. Just  
5 go to 69.1. You've remarked:

10:33

6  
7 "I think there was a failure to engage by Mr. O'Brien  
8 with the Urology Service. Mr. O'Brien failed to triage  
9 urology referrals and he failed to refer a patient from  
10 the uro-oncology MDM onto another clinician."

10:34

11  
12 That's an incident report that you raised and we'll  
13 look at that later. You say:

14  
15 "With regard to his failure to triage, he should have  
16 let the head of service know that he was struggling to  
17 complete the triage."

10:34

18  
19 We have heard from Mr. O'Brien in his evidence and he  
20 says that he made it clear to the head of service, to  
21 relevant personnel that he found it impossible to  
22 complete the triage. Let me just bring you to what  
23 Mr. Young says about that. He commented on this just  
24 this week when he gave evidence. If we go to  
25 WIT-51820. And at 64.14 he records:

10:35

26  
27 "It was appreciated that Mr. O'Brien was vocal about  
28 saying he had a difficulty in completing triage as he  
29 did not have enough time."

1  
2 So a bit of a difference between what Mr. Young recalls  
3 and what Mr. O'Brien is saying, I found it impossible  
4 and I communicated that, and that was clear, it should  
5 have been clear that I wasn't able to do routines and 10:35  
6 urgents, seems to be his line. Mr. Young's line is  
7 that Mr. O'Brien at no point came to me and said  
8 I wasn't doing it, but it was appreciated,  
9 nevertheless, that he had great difficulty in  
10 completing triage as he did not have enough time. So 10:36  
11 there's that distinction.

12  
13 would you agree, upon reflection, that there was  
14 knowledge across the team that Mr. O'Brien was at least  
15 struggling, even if you didn't appreciate that he had 10:36  
16 stopped doing it?

17 A. Well I felt he was very inefficient doing his triage  
18 because he did letters on patients, which I said  
19 before, and they were four A4 pages long on a patient  
20 and, really, they were just crowded in facts. I'm not 10:36  
21 entirely sure how useful they were. The people  
22 afterwards reading those letters, they were just too  
23 full of facts. Also, to compose all the letters must  
24 have taken Mr. O'Brien half an hour, I mean they were  
25 so full of detail. So if you have a couple of hundred 10:37  
26 referrals a week and you are doing letters like that,  
27 you can't, nobody in their -- no one person could  
28 possibly complete triage with that in-depth.

29



1 Also, I tended to follow him on call and I noticed on  
 2 ECR or even when the hard copies were there that  
 3 he didn't do them every day. There were days upon days  
 4 of triage not done and there were often emails back and  
 5 forth saying that the red flags hadn't been done during 10:37  
 6 his week. So you could see virtually the entire week  
 7 not triaged, because I tended to look at it the day  
 8 before I came on to see what was waiting there.

9 31 Q. Okay. Just getting back to my original point, and  
 10 we'll come to some of those other points, you're saying 10:38  
 11 Mr. O'Brien ought to but failed to engage with Urology  
 12 Service to inform Head of service that he was  
 13 struggling. Were you unaware that he was making it  
 14 clear, and Mr. Young vouches this, he was making it  
 15 clear and was vocal about saying he had a difficulty in 10:38  
 16 completing it. Did you not hear that?

17 A. I knew that he was struggling but not to the extent  
 18 that he was struggling. I mean, it's a workload for  
 19 everyone and perhaps he was more vocal than others.  
 20 But was I aware that things were not triaged apart from 10:39  
 21 what I could see? I mean possibly not. But I knew he  
 22 was struggling, certainly.

23 32 Q. But you weren't ever aware of him saying "this is  
 24 impossible"?

25 A. Well, I can remember an instance, him saying it's 10:39  
 26 impossible? I don't think so, no. But I remember him  
 27 saying he was finding it difficult. That doesn't mean  
 28 he wasn't doing it.

29 33 Q. Your earlier answer pinpoints something you had said

- 1 before in your evidence. It's essentially your  
 2 diagnosis of why he would find is difficult, and that  
 3 is he was going into too much detail composing letters  
 4 that, I take it from your evidence, you felt were  
 5 unnecessary and unhelpful and time consuming? 10:39
- 6 A. Certainly I think it was a contributing factor. I am  
 7 sure it's not the entire cause of the problem, but  
 8 I think certainly it was a contributing factor, a major  
 9 probably contributing factor.
- 10 34 Q. Did you ever speak to him about his technique or his 10:40  
 11 approach to it?
- 12 A. No.
- 13 35 Q. Why not? Is that not something you would feel  
 14 a responsibility to do?
- 15 A. I think at the time I was a more junior consultant so I 10:40  
 16 think coming up to the senior consultant in the  
 17 department and saying, 'I think you are doing this  
 18 totally wrong'. Perhaps I should have, but it's not  
 19 something I thought about doing, no.
- 20 36 Q. You refer to four-page letters, I think that was the -- 10:40  
 21 A. Yes.
- 22 37 Q. I mean, is that just a phrase that's maybe --
- 23 A. No, no, I have counted the pages.
- 24 38 Q. -- slight hyperbole?
- 25 A. No. I counted the pages, full A4 pages on patients 10:41  
 26 that have been referred in.
- 27 39 Q. Are you describing here a triage letter or the outcome  
 28 of a triage?
- 29 A. So is a patient is referred in with visible haematuria,

1 Mr. O'Brien would have dictated a letter with all the  
2 clinical details for the last several years and most of  
3 it irrelevant or certainly not relevant to the problem  
4 at hand I think.

5 40 Q. I think I picked up on you saying earlier -- sorry, 10:41  
6 just before leaving that point, you're not able to  
7 pinpoint any particular letter or particular patient in  
8 terms of lengthy letters?

9 A. No. Because I think if you look at Mr. O'Brien's  
10 letters in general, they're all quite lengthy. I don't 10:41  
11 think I've every seen a short letter from Mr. O'Brien,  
12 on any patient.

13 41 Q. In terms of him being behind in dealing with triage,  
14 I mean it's clear, we've lots of evidence of that. But  
15 focusing on Urologist of the week period from tail end 10:42  
16 of 2014, that model of working was introduced. The  
17 sense of it perhaps on the evidence before this Inquiry  
18 was that ultimately The Trust found that there were  
19 a large number of routine and urgent referrals simply  
20 not done, simply not touched, maybe glanced at on 10:42  
21 Mr. O'Brien's account every so often to check whether  
22 the patients are progressing through the system in any  
23 event. But in terms of the red flags, again, seeing  
24 some evidence of delays around that, but your evidence  
25 this morning was you were seeing evidence sometimes of 10:43  
26 two week delays?

27 A. Well certainly when I would come on call there would be  
28 triage from his on call left, and sometimes I would do  
29 them, sometimes I would leave them for him, let him

1 know they were there.

2 42 Q. In terms of red flags, your observation is that you  
3 were seeing delays even on those?

4 A. Whether I can say there were red flags, I mean, there  
5 were referrals. I'm not probably willing to say they 10:43  
6 were red flag, whether they were urgents.

7 43 Q. Can I move from the issue of triage to dictation and  
8 the compilation of records as a result or as  
9 a consequence of engaging with a patient at clinic.  
10 You will know, obviously, by now that one of the issues 10:44  
11 that fed into the MHPS investigation was a failure on  
12 Mr. O'Brien's part to promptly deal with his  
13 responsibilities as The Trust viewed it to promptly  
14 dictate and make records after a clinical encounter.  
15 10:45

16 we've heard from you on the last occasion, albeit  
17 briefly on this broad issue. You said, for example,  
18 that you always dictate letters when you receive  
19 results. But I want to hear from you in terms of your  
20 approach to dictation, say, following an outpatient 10:45  
21 review clinic. What records were you responsible for  
22 making and when did you make them and for what purpose?

23 A. So at the end of clinic I used to dictate. I didn't  
24 leave clinic until I dictated. I now actually do it  
25 after each patient encounter because I find it easier 10:45  
26 to do it that way. But I never left a clinic without  
27 dictating. That's what I have done as a registrar and  
28 when I was a consultant in England. In fact when I  
29 arrived in Craigavon, the first week I arrived in

1 Craigavon, I noticed from Mr. O'Brien's side the lack  
 2 of dictation.

3 44 Q. I think you spoke to us on the last occasion about that  
 4 first week. I think you were covering a theatre  
 5 list -- 10:46

6 A. Yes.

7 45 Q. -- for Mr. O'Brien and when you went to the chart you  
 8 realised there were no letters. Your language "no  
 9 letters in the charts" and it took a long while for you  
 10 to work out why the patient was on the list. 10:46  
 11 Just coming back to your own practice. To whom would  
 12 you direct letters following a clinic?

13 A. So, if it's a clinic letter I direct it to the GP. If  
 14 it's results I direct it to the patient and copy to the  
 15 GP. When I was in England I copied letters to the 10:47  
 16 GP -- to the patient, but since I've come here,  
 17 I haven't been doing that.

18 46 Q. There's some interest on the part of the Inquiry in  
 19 terms of communication with the patient. What was the  
 20 thinking in England in relation to writing to the 10:47  
 21 patient, and why is it different here, do you think?

22 A. Well, I think in England it was that the patient would  
 23 know what is happening. You obviously have to write  
 24 a different kind of letter if you are writing to the  
 25 patient and the GP. You have to dumb it down a little 10:47  
 26 bit. I think Roger Kirby said a couple of weeks ago  
 27 that he actually enjoyed doing letters to patients. It  
 28 just wasn't done here, so that's why I didn't do it  
 29 here. But it is not something -- I wouldn't be adverse

1 to doing.

2 47 Q. Mr. Young spoke yesterday about perhaps an increasing  
3 trend in Northern Ireland or a movement towards writing  
4 to patients. Do you think there's merit in that and  
5 has it caught on with you yet? 10:48

6 A. As I said, I write to the patient with results but  
7 I haven't yet done clinical letters.

8 48 Q. Would there be merit in doing that do you think or do  
9 you see merit in it?

10 A. It is, because patients may not always pick up what 10:48  
11 you're saying in clinic because there's a lot of  
12 information overload. So when they go home, if they  
13 get a copy of the letter, it sort of certainly informs  
14 them and lets them know what's happening in case  
15 they didn't pick it up in clinic. 10:48

16 49 Q. Back to Mr. O'Brien's practice and what you noted and  
17 what others noted. Could I draw your attention to  
18 Mr. Haynes' evidence. He has commented, and I don't  
19 need to bring it up on the screen, TRA-00867. He  
20 remembers that when the service moved up to six 10:49  
21 clinicians, when you started you would have tried to  
22 work as a team and yourself and Mr. Haynes seeing some  
23 patients who Mr. O'Brien had seen previously and  
24 you both raise a concern. He said, along with  
25 Mr. Glackin and Mr. Young, when you were doing that, 10:49  
26 when you were doing Mr. O'Brien's patients because  
27 you didn't have any documentation about the decision  
28 making that had gone on before.

29

1 To what extent was that a real problem or was it maybe  
 2 just a small problem that you could easily work around?  
 3 A. Well, it's not really -- it's quite a big problem. In  
 4 patients who have rather thick notes it can be  
 5 difficult to find exactly where doctors write their 10:50  
 6 notes. Mr. O'Brien wrote notes but they were always,  
 7 probably for his benefit than anybody else coming  
 8 afterwards, you know, they were short, they were a few  
 9 lines long. So he obviously knew what he was trying to  
 10 say but anybody else coming in, 2 or 3 lines may not be 10:50  
 11 enough to give the whole picture of what is going on,  
 12 particularly if there isn't a letter.  
 13 50 Q. So the gap was the letter, as you saw it, that was the  
 14 important communication tool so that you would  
 15 understand what would come next for the patient? 10:51  
 16 A. Yes. I found that very difficult because I had been  
 17 brought up doing correspondence for everything, so  
 18 I found it very strange.  
 19 51 Q. Another feature of Mr. O'Brien's practice that we have  
 20 heard about in evidence was the not irregular 10:51  
 21 occurrence whereby patient charts wouldn't be available  
 22 in the hospital when a patient perhaps came in as an  
 23 emergency or where he or she was coming into clinic.  
 24 Was that something you experienced?  
 25 A. It was something I was aware of and, again, something 10:51  
 26 I found very strange because I trained in Oxford and  
 27 one of the urologists there has a big medicolegal  
 28 practice and we were constantly reminded that it should  
 29 be a never event to take notes outside the hospital.

1 So I found that bizarre when I arrived and didn't agree  
 2 with it obviously, particularly when there were no  
 3 letters. So if the notes were home and you had no  
 4 typed letters, you know, you had no idea in an  
 5 emergency situation what was going on. 10:52

6 52 Q. Could I draw your attention to, I suppose, one such  
 7 emergency arrival or arrival at the emergency  
 8 Department of a patient which Mr. Haynes has drawn our  
 9 attention to. If we go to WIT-54882. Here he is  
 10 explaining a problem he experienced in 2016 when 10:53  
 11 a patient called Patient 103 arrived at the hospital.  
 12 I don't know, if you glance at the designation sheet,  
 13 whether the name Patient 103 has any meaning to you.  
 14 So this patient, Patient 103 according to Dr. Beckett,  
 15 is it? Are you familiar with him? 10:53

16 A. I'm not familiar with -- the name Beckett is obviously  
 17 something I'm aware of but I don't know him in person.

18 53 Q. As he records this girl, it was at the emergency  
 19 department at Daisy Hill with him that morning. There  
 20 was the some suggestion of a further USS, is that ultra 10:54  
 21 scan?

22 A. Ultrasound.

23 54 Q. "But I deferred organising that until I hear what the  
 24 urologists are doing".  
 25  
 26 so this is brought to Mr. Haynes' attention by  
 27 Martina Corrigan. If we scroll up, she explains to  
 28 him -- or, sorry, she is explaining to Mr. Beckett this  
 29 patient was admitted under Mark Haynes via A&E and,



1 scrolling up, Mr. Haynes then explains the problem that  
2 he faced:

3  
4 "I saw this lady this morning on my ward round.  
5 I have not been involved in her care to date. I have 10:55  
6 not received a referral. There are no letters on the  
7 ECR, and her notes detailing previous consultations  
8 were not available to me on the ward."

9  
10 He discussed the plan going forward which will depend 10:55  
11 on how her current pain settles.

12  
13 So he came to the Inquiry and he spoke about this case  
14 and he explained how the absence of appropriate  
15 documentation on the ECR really placed him at 10:55  
16 a disadvantage, coupled with the fact that the notes  
17 were not available to him for whatever reason. Is  
18 that -- maybe you don't recognise the case, but is that  
19 a scenario that is typical of what you were  
20 experiencing? 10:56

21 A. As a scenario, I mean, how many times it happened to  
22 me, I don't know because it wouldn't have been that  
23 common. But I mean certainly it's an example of what  
24 can happen by not dictating, by not having paperwork.  
25 Because it demonstrates somebody who has all the 10:56  
26 information on the patient himself, but other people  
27 are involved and if he's not there nobody knows what's  
28 going on. I say to my registrars, you know, you have  
29 got to dictate because if I'm knocked down by a car,

1           nobody will know what's going on so at least if it is  
 2           all dictated somebody can take over, know what's going  
 3           on.

4   55   Q.    You said it didn't happen terribly much for you.  
 5           A.    Not that I remember. But I'm sure it probably has,           10:56  
 6           just nothing is coming to mind right now.

7   56   Q.    Dr. Chada looked at this issue for the purposes of her  
 8           investigation and a bit of a dispute on how many cases  
 9           and how many clinics there was an absence of dictated  
 10          letters. Mr. O'Brien would put it at the low couple of           10:57  
 11          hundreds, a higher figure from Dr. Chada. Regardless  
 12          of the precise numbers, clearly an issue of concern for  
 13          Mr. O'Brien's colleagues?

14          A.    Absolutely. Because, as I say, if you don't have the  
 15          notes or if you only have 2 or 3 lines on the notes and           10:57  
 16          you don't have letters, it takes a lot more effort as  
 17          well because you have to go through -- you know, it is  
 18          like starting from scratch. You have to piece it  
 19          together, work out what is going on.

20   57   Q.    You noticed this the first week in the job --           10:58  
 21          A.    Yes.

22   58   Q.    -- in August 2014. It's still a feature of his  
 23          practice, it would appear, into 2016, and then comes to  
 24          a head, I suppose, with the MHPS investigation. Did  
 25          you ever speak to him about his practice           10:58  
 26          and "challenge" might be the wrong word, but seek to  
 27          persuade him to a better course?

28          A.    I didn't and perhaps I should have. Perhaps I just got  
 29          on with things. I was new in the job, by 2016 I had



1 on. And you have expressed it, perhaps, on  
2 understandable human terms, I'm the junior consultant,  
3 he's the senior, it's difficult. But reflecting on  
4 that, and we can look at other issues where that seems  
5 to be the explanation for the behaviours, it's not good 11:01  
6 enough, would you agree, and, secondly, is that -- is  
7 these kinds of behaviours, can they be cured, can the  
8 culture be changed?

9 A. Certainly it's not good enough. On reflection  
10 I probably would -- if I was in the same situation now 11:01  
11 I probably would and with another colleague I probably  
12 wouldn't let it continue, I would certainly act on it.  
13 Can it be changed? You are probably trying to change  
14 a personality to some extent. I don't know what  
15 Mr. O'Brien did earlier on in his career. I don't know 11:02  
16 whether he dictated letters in those days, I don't  
17 know. But, certainly, it shouldn't have been left to  
18 go on. It shouldn't have been left to fester, as you  
19 said.

20 63 Q. Your options, you are on, I suppose, the receiving end 11:02  
21 of these behaviours and your patient is. You are  
22 facing into the frustration of not knowing what's going  
23 on with this patient and having to dig a bit around the  
24 edges to come up with a viable plan. Your option,  
25 having faced into this issue, maybe across a number of 11:02  
26 patients, is to speak to Mr. Young, the clinical lead,  
27 or perhaps the Clinical Director, Mr. Brown and/or to  
28 complete an incident report. It would merit an  
29 incident report, do you think?

- 1           A.    Absolutely, it would have. I certainly should have  
 2                    taken more action -- I should have taken any action,  
 3                    I should have taken action on the matter because it is  
 4                    a risk and I hold my hands up, I should have acted on  
 5                    it. 11:03
- 6    64   Q.    For fear that you may think I'm beating up on you,  
 7                    I asked Mr. Haynes -- Mr. Haynes was aware of the  
 8                    example I drew to your attention, Patient 103,  
 9                    he didn't raise an incident report on that. He dealt  
 10                   with it by way of airing his frustrations with 11:03  
 11                   Mrs. Corrigan, so that the issue was known about but it  
 12                   wasn't put on that formal footing of an incident  
 13                   report?
- 14           A.    And I think I probably would have aired it as well and  
 15                    I would have talked about it but didn't do anything 11:03  
 16                    formally about it. But I certainly would have vented  
 17                    my frustration.
- 18    65   Q.    Can I move on to the issue of private patients. Again,  
 19                    an issue that was considered by Dr. Chada as part of  
 20                    her investigation was the extent to which, if at all, 11:04  
 21                    Mr. O'Brien was giving advantage to patients he saw in  
 22                    his private room ahead of NHS patients. You came from  
 23                    England to working in the Southern Trust in summer of  
 24                    2014. Did you have a sense that private patients were  
 25                    coming into the Urology Service of the Trust ahead of 11:04  
 26                    time or ahead of the time that an NHS patient would  
 27                    come in?
- 28           A.    Well certainly seeing patients on the ward, I wouldn't  
 29                    have known where they came from. I had heard some

1           rumours from registrars that there may have been  
 2           private patients had been seen, but I wasn't aware of  
 3           whether they had gone in early or how they'd got into  
 4           the hospital, I was just aware they had seen  
 5           Mr. O'Brien privately in his rooms. It wasn't 11:05  
 6           something I pursued.

7   66   Q.   Yes. It is something that Mr. Haynes pursued. I will  
 8           just briefly introduce you to what he did when the  
 9           concerns arrived at his door, TRU-274504. At the  
 10          bottom of the page, this is May 2015, you are in the 11:06  
 11          Trust just coming up a year or so, or just less than  
 12          a year. And he is explaining that he is feeling  
 13          increasingly uncomfortable discussing urgent waiting  
 14          list problems when he says:

15 11:06  
 16           "We turn a blind eye to a colleague listing patients  
 17           for surgery out of date order, usually having been  
 18           reviewed in a Saturday non-NHS clinic."

20           He says: 11:06

22           "On the attached total urgent waiting list there are 89  
 23           patients listed for an urgent TURP, the majority of  
 24           them with catheters in situ, and they have been waiting  
 25           up to 92 weeks." 11:07

27           And he contrasts that with a patient who went retention  
 28           in the middle of March '15, failed the TWOC test, seen  
 29           in a private clinic two weeks, three weeks later, and

- 1 surgery a little after a month later. So that's,  
2 I suppose, a turn around from problem to procedure  
3 within two months, two and a half months or so. Would  
4 it be your experience that ordinarily a patient coming  
5 on to the NHS waiting list at that time needing a TURP 11:07  
6 would rarely be seen within two and a half months?
- 7 A. Yes. It wouldn't -- unless they had a prostate cancer  
8 and they needed radiotherapy or something they may be  
9 done quickly because that is time sensitive. But  
10 I think a patient being on the list with a catheter, 11:08  
11 needing TURP, that would be very unusual to be done  
12 that quickly.
- 13 67 Q. Obviously there may be particular circumstances --
- 14 A. Yes.
- 15 68 Q. Clinical features in a specific case that may merit 11:08  
16 particular approaches to a patient. Could I draw your  
17 attention to a second email that Mr. Haynes sent some  
18 six months later, WIT-54106. He is again writing to  
19 Mr. Young, Mrs. Corrigan. He is referring to his  
20 earlier email and making broadly the same point, that 11:09  
21 waiting lists are not being managed chronologically and  
22 private patients being brought in on to NHS lists  
23 having significantly jumped the queue or the waiting  
24 list. So that was his concern. Did Mr. Haynes or  
25 anybody else speak to you about it? 11:09
- 26 A. Not directly. I'm not aware of these patients. I had  
27 heard rumours from registrars but I wasn't aware of  
28 particular patients who were coming in that quickly and  
29 having procedures done, no. But I had heard rumours

- 1 but they were just registrars on ward rounds saying it  
2 to me.
- 3 69 Q. You've told us already that you have a private  
4 practice?
- 5 A. I do, yes. 11:10
- 6 70 Q. Did you bring patients from your private practice into  
7 the Southern Trust facilities for procedures?
- 8 A. So the patients I brought in weren't private, they  
9 transferred to the NHS and they -- I always tell my  
10 patients that they don't get any advantage by going to 11:10  
11 the NHS, they go on the waiting list at the point that  
12 they have been referred. So obviously clinically  
13 dictated but I don't give patients any advantage, in  
14 fact I forgot the names very quickly, so they go on the  
15 list. There's also an NHS transferral form where 11:10  
16 they're transferred into the system.
- 17 71 Q. So just take us through, so that we can better  
18 understand the process. If you see a private patient,  
19 say for the first time on a Friday afternoon, I think  
20 you've explained to us that your private work is 11:11  
21 typically done on a Friday, and you decide that the  
22 patient's -- maybe you have done some investigations,  
23 but you have reached the conclusion that a TURP is the  
24 necessary intervention and you tell the patient that  
25 will be a sum of money to deal with that privately and 11:11  
26 the patient decides, no, I can wait, I would prefer to  
27 have it done via the NHS. What steps do you take from  
28 there?
- 29 A. So, one, they're aware that they are not getting any



- 1 advantage, they're not displacing an NHS patient. So  
2 I dictate a letter to my secretary so that there is  
3 a dictated letter gets on the system so that it's  
4 copied into the notes and it goes on ECR now as well.  
5 There's an online NHS transfer form now which I do, 11:12  
6 which has come on recently, before that it was a paper  
7 letter.
- 8 72 Q. To illustrate that, I think we can bring one up,  
9 TRU-267692. That's the 2016 form. There have been  
10 earlier iterations of it. It may well have changed 11:13  
11 since.
- 12 A. It's gone online now as well.
- 13 73 Q. You would complete that at the point at which you are  
14 dictating a letter in to your secretary?
- 15 A. Yes or I just ask her to give me the names and then she 11:13  
16 lets me know the names and I fill that particular form  
17 out afterwards, I do them in batches.
- 18 74 Q. Where does that go to the best of your understanding?
- 19 A. I don't know. It goes into the system somewhere. It's  
20 emailed, presumably, to -- I don't know where it goes. 11:13  
21 But it goes somewhere in The Trust.
- 22 75 Q. As we understand it, it is ultimately a decision for  
23 the Medical Director's office to approve or disapprove  
24 of the transfer.
- 25 A. Yes. I also fill out a waiting list form. 11:13
- 26 76 Q. Yes. And so do you yourself retain any control over  
27 when the patient would then be seen for the procedure?
- 28 A. No. It goes chronologically on the waiting list and  
29 when the turn comes. But down the line I don't

- 1 remember -- I don't look at a list and know whether  
2 were they private, were they originally private or not,  
3 I don't remember. So they are just done  
4 chronologically.
- 5 77 Q. Could you, within the system that exists or has 11:14  
6 existed, have reached for the patient who you know has  
7 been seen by you privately and give that patient an  
8 advantage? I'm not saying you would do that, but could  
9 you do it, unchecked?
- 10 A. You certainly could do it, I'm sure. You know, if -- 11:14  
11 probably less so now, I think. Systems have tightened  
12 up and we have a coordinator who books the lists now,  
13 so we just hand that over to her. But I think in the  
14 past you certainly could pick a name off a list and do  
15 it ahead of other people, yes. 11:15
- 16 78 Q. And speaking to colleagues who have private practices,  
17 did you form the impression that the process that  
18 you've described, which you are describing as being  
19 compliant with The Trust's policy, I assume, was that  
20 policy well known and observed by your colleagues, do 11:15  
21 you think?
- 22 A. Knowing my colleagues, I'm sure it has, but it's not  
23 something I've discussed with them. But I'm sure it  
24 has.
- 25 79 Q. Is there, if you like, any visibility in terms of the 11:16  
26 Trust's expectations around the management of private  
27 patients into the NHS?
- 28 A. In what sense? In that they want to be...
- 29 80 Q. In the sense have you been aware over the years of the

1 message being handed down from senior management that  
2 there's a firm expectation of compliance with this?  
3 A. Well, I haven't received emails from -- or I'm not  
4 aware that emails go to people and says this patient  
5 has jumped ahead of or has been done far too quickly, 11:16  
6 so I'm not aware of that. But I don't do that so maybe  
7 that's why I'm not aware. But I don't know what  
8 happens otherwise. But I'm sure it is checked to make  
9 sure that private patients aren't given advantage.  
10 MR. WOLFE KC: would now be a suitable time for 11:17  
11 a break?  
12 CHAIR: Yes. we'll come back at 11:35, ladies and  
13 gentlemen.  
14  
15 THE HEARING ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS: 11:17  
16  
17 CHAIR: Thank you, everyone.  
18 81 Q. MR. WOLFE KC: Taking some steps forward now to the  
19 period from January 2017 when you, as a team of  
20 colleagues, were told that Mr. O'Brien has been 11:39  
21 excluded from work and there are issues in relation to  
22 triage that you would be expected to assist with, do  
23 you recall that?  
24 A. Yes. I remember one of our meetings, being told about  
25 that, yes. 11:40  
26 82 Q. And you and your colleagues in Mr. O'Brien's absence  
27 were expected to, I suppose, help out to look at the  
28 cases that weren't triaged and form a view and,  
29 secondly, to look at cases where there hadn't been

1 a dictated outcome from a clinical episode and, again,  
2 fill that gap.

3  
4 You've said in your statement that the failure to  
5 triage was taken as a serious clinical issue and all 11:41  
6 four substantive consultants triaged the patients as  
7 quickly as possible and organised appropriate  
8 investigations and clinic appointments. You  
9 participated in that triaging exercise?

10 A. Yes. 11:41

11 83 Q. Did you, to the best of your recollection, come across  
12 cases that you had to upgrade? I think we know that  
13 roughly 30 or so were upgraded as a result of this  
14 process?

15 A. I can't remember precisely whether I upgraded to red 11:41  
16 flag or not. I don't remember that detail, no.

17 84 Q. Assumedly at that time, Mr. O'Brien excluded from work,  
18 this news arriving with you that a substantial number  
19 of cases hadn't been triaged and then the dictation  
20 issue. You were aware of, in a sense, aspects of both 11:42  
21 of those issues, but was it the volume that came as any  
22 form of surprise when you were told about it?

23 A. Well, no. I was aware that there had been delays in  
24 dictation but I wasn't aware that -- I only learned at  
25 that meeting that there was dictation that hadn't 11:42  
26 actually been dictated and various -- a number of,  
27 I think it was 700 and something --

28 85 Q. In terms of charts?

29 A. Not triaged, I can't remember the precise number of --

- 1 86 Q. Leaving the final number to one side, I don't think  
2 we need to worry about that, but what I'm anxious to  
3 understand is in terms of the response amongst your  
4 colleagues in respect of that. Presumably there were  
5 discussions about what this -- I suppose what this 11:43  
6 meant, what the implications of this were?
- 7 A. I think we were all horrified. You know, we didn't  
8 expect in our wildest dreams that there were going to  
9 be untriaged referrals just left there. And,  
10 obviously, the implications of something that's 11:43  
11 untriaged and if a patient has been missed, yes.
- 12 87 Q. You say you were horrified. How would you characterise  
13 the significance of this disclosure on the triage side?
- 14 A. In what...
- 15 88 Q. How would you characterise it in terms of its 11:44  
16 significance?
- 17 A. Very serious. I mean, something that in my wildest  
18 dreams I didn't think could happen. And, obviously,  
19 the implications for the patients that were sitting  
20 there and hadn't been appropriately dealt with. 11:44
- 21 89 Q. Yes. Did your view of Mr. O'Brien as a practitioner  
22 change as a result of what you were now discovering?
- 23 A. Yes.
- 24 90 Q. How did you view him beforehand and how did you view  
25 him when you discovered this gap in his practice? 11:44
- 26 A. I think before this I had, in spite of his failings in  
27 updating, I had a lot of respect for him. Perhaps  
28 because I didn't know a lot of the problems that were  
29 ongoing. I didn't know the problems that were ongoing

1 even before I arrived at The Trust, going back to 2009,  
2 issues with management. So, I had respect for him,  
3 yes, in spite of him not dictating. Perhaps I didn't  
4 know the entire -- I hadn't an entire picture of what  
5 was going on in my head. I think as more and more -- 11:45  
6 as details were being revealed, I kind of was losing  
7 respect, yes.

8 91 Q. Another side of this is that Mr. O'Brien was running to  
9 stand still in what we observed on the last occasion  
10 was an environment where you said you didn't feel 11:46  
11 overly pressured but there was certainly a significant  
12 demand on the services of urologists such as himself  
13 and yourself. So he was burdened by the expectation of  
14 dealing with the need for throughput of patients at all  
15 levels and, inevitably, there will be casualties in 11:46  
16 terms of his ability to perform all of the duties  
17 expected of him; that's the other perspective. Is that  
18 one that you share or at least are sympathetic to?

19 A. One can be sympathetic and one can sort of explore why  
20 this happened. But at the same time, I mean if you are 11:47  
21 not triaging, you're having these problems, say I have  
22 this number of notes, I have not done them, and don't  
23 bury the problem because that problem will resurface at  
24 a later date. So at least put the problem on the table  
25 and say there is a problem. It is fine to say I'm 11:47  
26 having problems, but actually say 'the problem is  
27 I haven't dictated...' however many number of triages.

28 92 Q. Have you reflected at all since that some of these  
29 problems were obvious, perhaps more obvious now with

1 the benefit of some hindsight, but they weren't hiding  
2 behind the walls, they were the subject of some  
3 awareness, as we've acknowledged this morning. Is  
4 there a lesson to be learned there on the part of team  
5 members about how we responded, realising that there 11:48  
6 were problems over the years?

7 A. I mean some of the problems -- I think we couldn't have  
8 known that, you know, there would have been untriaged  
9 letters. I mean, that's not something one would ever  
10 sort of have guessed was going on. So I think things 11:48  
11 like that, I think, was a complete surprise to  
12 everyone. Because I think, working in a team, if you  
13 are working in a team you say 'I am having this  
14 problem, I have not done' whatever number, 'can  
15 something be done, help me'. So I think perhaps, 11:49  
16 rather than going on with -- you know, leaving the  
17 problem to get out of hand. And, okay, you can sort of  
18 become blinded by everything going on around you, but  
19 I think, you know, he just had to ask for help with  
20 that particular problem. But, yes, I suppose, to 11:49  
21 answer your question, now I think if we knew that  
22 a colleague was having problems, we probably would step  
23 in earlier.

24 93 Q. There's a fashionable term such called silo working or  
25 working in a silo. Perhaps when there are pressures in 11:49  
26 the system and you are running to stand still to get on  
27 with the day-to-day work, you're not as attentive or as  
28 sensitive to what is going on around you. Does that  
29 provide any explanation for --

- 1 A. It does. I think we were all getting on with our own  
2 practices, which were busy, you know, dealing with our  
3 own issues. So, yes, I suppose that could have  
4 contributed to it. But I mean every profession is busy  
5 so you're not watching what your colleagues are doing. 11:50  
6 You get on and do your own work.
- 7 94 Q. Yes. I think you said in your statement that  
8 Mr. O'Brien returned to work during the middle of 2017.  
9 I think you would accept that he came back to work much  
10 earlier than that, I think it was around March 2017? 11:50
- 11 A. Yes.
- 12 95 Q. Just for the record, you're nodding your head in  
13 acknowledgment. Did it surprise you, given what you  
14 were hearing about the failure to triage, the number of  
15 undictated outcomes, to name just those issues, and 11:51  
16 there were other issues obviously being investigated by  
17 Dr. Chada. Did it surprise you that he was coming back  
18 to work so early?
- 19 A. Well, I hadn't thought about it too much. I knew that  
20 a mechanism had been put in place for him to make sure 11:51  
21 that he was triaging. My understanding was he was  
22 given the Friday off after on call to try and get on  
23 top of his triage. So I think things were put in to  
24 support him. So I hadn't really -- because I hadn't  
25 known about a lot of the other issues. So, no, 11:51  
26 I hadn't thought about it in that sense.
- 27 96 Q. I'll come back to that issue of support in a moment.  
28 You have spoken about having had confidence in this  
29 senior clinician prior to this being revealed and then



- 1 after this was revealed, I'm not sure if you used the  
2 words lost some respect for him or lost some confidence  
3 in him?
- 4 A. Perhaps confidence might be a better word than respect.
- 5 97 Q. Did you and your colleagues, recognising what had been 11:52  
6 going on around you before this revelation, discussed  
7 at any point whether you would need to work in  
8 a different way with Mr. O'Brien or keep him under,  
9 I suppose, closer observation as colleagues going  
10 forward, or was there any discussion of that type? 11:53
- 11 A. Well, I certainly wasn't privy to any conversation that  
12 we must keep him under closer observation. I mean that  
13 wasn't something I was aware. Maybe more senior  
14 management may have been involved in those  
15 conversations, but I certainly wasn't. 11:53
- 16 98 Q. We know that in 2020 other issues emerged and they were  
17 the subject of the Serious Adverse Incident reviews.  
18 The product of the work that you undertook and your  
19 colleagues undertook in the early months of 2017 was to  
20 triage and to work through -- this is the second 11:53  
21 element -- work through the cases that hadn't been  
22 dictated. Can you recall what the upshot of that  
23 second limb was?
- 24 A. So I had seen patients in clinic -- you're talking  
25 about where I had done clinics of his patients, is that 11:54  
26 what you're talking about?
- 27 99 Q. Well, I'm asking you to try to recall what work you  
28 did. It's not mentioned in your statement. So, as we  
29 understand it, you had these cases where there was no

1 record of a dictated letter, and those cases were  
 2 shared around your colleagues to look to see what  
 3 should come next for the patient, it not having been  
 4 recorded in a letter. Were you doing any work around  
 5 that?

11:54

6 A. I think I was. I can't recall now, but I think I was  
 7 looking at some of the -- so I think I did three  
 8 things: I triaged the referrals. I think I did look  
 9 at some patients, where there were no letters. Then  
 10 I think I did some clinics of his patients who needed  
 11 to be seen.

11:55

12 100 Q. Yes. When you think about what emerged in 2020 through  
 13 the SAI reviews following Mr. O'Brien's retirement, do  
 14 you think that more ought to have been done earlier  
 15 such as around 2017 to better investigate all possible  
 16 or potential concerns in his practice?

11:55

17 A. As far as I remember I think that these subsequent  
 18 things came to light sort of were known about in 2017  
 19 so I think it hadn't been realised that there were  
 20 these SAIs, from my understanding out there. I think  
 21 these came to light as time went on.

11:56

22 101 Q. I suppose what was revealed in the SAIs were behaviours  
 23 in association with multidisciplinary team working, and  
 24 there's a range of themes emerged such as failure to  
 25 engage a key worker for patients, delays in the  
 26 referral pathway, cases not coming back to the MDT, for  
 27 example when there was disease progression, these kinds  
 28 of behaviours. Then there was the issue around the  
 29 prescription of Bicalutamide, all of which we'll look

11:56

1 at shortly. But would you agree that the behaviours  
 2 around the MDT should have been looked at at an earlier  
 3 point as part of an overarching examination of his  
 4 practice, given what was revealed, albeit of  
 5 a different nature, but what was revealed as 11:57  
 6 shortcomings in 2017?

7 A. I'm not too sure whether a lot of those were known at  
 8 that time. I certainly didn't know that he wasn't  
 9 involving Clinical Nurse Specialists in seeing  
 10 patients. But I think if they were known at that time 11:58  
 11 they should certainly have been investigated. If it  
 12 was known that he wasn't bringing patients back, it  
 13 certainly should have been investigated at that time.  
 14 I'm not sure if it was known or not.

15 102 Q. I'm not suggesting it was known. You were a member of 11:58  
 16 the MDT and I assume you're telling me you didn't know?

17 A. I didn't know.

18 103 Q. Yes. But it would be possible to take a look at other  
 19 aspects of his practice to see what is to be found?

20 A. I suppose if you're looking at somebody who is having 11:58  
 21 problems, I suppose you've got to assume that there are  
 22 problems in other areas rather than just the ones  
 23 you're seeing. So I suppose it certainly would have  
 24 been worth looking at the those areas as well, yes.

25 104 Q. Another issue, perhaps self-evidently, is to sit down 11:58  
 26 with Mr. O'Brien to see what support, if any, he  
 27 requires. It may well be that his colleagues are  
 28 capable of meeting the standard set by the Trust, say,  
 29 in relation to triage, but he is experiencing a genuine

1 difficulty, whether it's a difficulty of time  
 2 management or a difficulty of prioritising what he sees  
 3 as more important, that kind of thing. Was there any  
 4 discussion amongst you clinicians, as a team, about  
 5 whether you could better support your colleague or did 11:59  
 6 you consider that to be a management issue to resolve?  
 7 A. Well, I'm not aware that we discussed it, but that's  
 8 not to say that it didn't happen. I'm only surmising  
 9 that Mark Haynes with his hat as Associate Medical  
 10 Director, he might not have been in that post in 2017, 12:00  
 11 might have been involved in that. I suppose the other  
 12 thing is there's been a long history, going back to  
 13 2009 and before, Mr. O'Brien sort of engaging with  
 14 management and not engaging with management. So  
 15 there's a long history of him not really engaging. So 12:00  
 16 whether -- but that's not to say -- I didn't sit down  
 17 with him and see how I could help him.  
 18 105 Q. You're only surmising that --  
 19 A. I'm only surmising.  
 20 106 Q. Yes. You do say, if we could bring up your statement 12:00  
 21 at WIT-50517, at paragraph 1.2, you say:  
 22  
 23 "The first time I became aware of issues of concern was  
 24 during Mr. O'Brien's sick leave in mid November 2016."  
 25 12:01  
 26 I think you have since acknowledged it was later than  
 27 that, it was January.  
 28 A. Yes.  
 29 107 Q. And the point I want to make to you is you say:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

"On his return to work in mid 2017 ..."

You acknowledged it was earlier than that.

12:01

"Measures were put in place to enable him to do his triage in a more timely way. Most of the referrals for triage, except those from A&E, were online and he was given the Friday after on call off to triage, and the timeliness of his triage was looked at regularly by Mrs. Corrigan."

12:01

Just a couple of points of strict accuracy arising out of that. In terms of the Friday off, I think it's Mr. O'Brien's unchallenged evidence that he took Friday off when it was his urologist of the week period, but he took that as a holiday or annual leave. So he used his annual leave to perform triage to the standard that he thought was appropriate. In other words, he sacrificed his annual leave rather than simply being given the day off. Were you aware of that?

12:02

12:02

A. No, I wasn't. I assumed he had been given it off. So I stand corrected if that's what Mr. O'Brien was doing.

108 Q. You've described -- you've used the term:

12:02

"Measures were put in place to enable him to do his triage in a more timely way".  
The placement of the triage materials online, that wasn't a specific solution fashioned for him. That was

- 1 a broader innovation to assist the teams?
- 2 A. Absolutely. It was to keep -- you know, bits of paper  
3 can go missing, so having it online, there's a record  
4 of what happens to it. And you don't necessarily have  
5 to do it in the outpatients, you can do it in your 12:03  
6 office, you can bring the computer elsewhere, so things  
7 can't get lost.
- 8 109 Q. Were you aware of any specific Aidan O'Brien measures  
9 to assist him, apart from what you referred to here as  
10 Mrs. Corrigan keeping an eye on the situation to ensure 12:03  
11 that it was getting done in a timely manner?
- 12 A. I suppose what I thought, Friday was given to him,  
13 I was obviously mistaken. But I assumed, I didn't  
14 assume, I actually thought he was given it. And  
15 certainly that's what I understand and what I thought 12:04  
16 I had been told, that he was given the Friday off after  
17 on call to do that. But, as I said, if Mr. O'Brien  
18 says otherwise, I stand corrected.
- 19 110 Q. Yes. When he returned to work and was back in the  
20 fold, were working relations strained at all? Did the 12:04  
21 atmosphere amongst the team change?
- 22 A. I didn't notice that much. There was just one instance  
23 which at the time I didn't -- in isolation it didn't  
24 mean very much apart from I was a bit taken aback. But  
25 I rang him to see if -- because I was organising 12:05  
26 a Christmas dinner and I rang him to see if he was  
27 going to the Christmas dinner. He said to me in a very  
28 forthright way that he and his wife wouldn't be coming  
29 and left it at that and the conversation ended.

1 I thought that was a bit strange, and a bit rude. But  
 2 he didn't elaborate and with all this going on, that  
 3 might have been the reason why. But I was a bit taken  
 4 aback by his brief response, and he just hung up on me.

5 111 Q. Did you speak to him directly about how he was feeling 12:05  
 6 during what must have been a difficult experience for  
 7 him?

8 A. No.

9 112 Q. You may have since become aware that Mr. O'Brien got 12:06  
 10 into the habit, if I can put it in those terms, of  
 11 recording a number of conversations with colleagues  
 12 within The Trust, and including a meeting which  
 13 you attended in December 2018. The transcript has been  
 14 produced of that meeting. Nothing particularly turns  
 15 on it. First of all, your reaction to discovering that 12:06  
 16 this was being done, assumedly without your knowledge?

17 A. My respect for Mr. O'Brien got even less. I felt it  
 18 was a very underhand, very -- and I heard about  
 19 particularly some of the circumstances where he had  
 20 taped and I was very disappointed in him. I've lost 12:07  
 21 a lot of respect for him over that.

22 113 Q. It may, from his perspective and perhaps even more  
 23 objectively, be reflective of a concern that trust  
 24 across the team was not optimal and he felt the need to  
 25 protect himself because decisions had been made within 12:07  
 26 The Trust adversely impacting on him. Do you recognise  
 27 that the circumstances arising out of 2017 and all that  
 28 had given rise to trust issues on his part?

29 A. I personally don't think there's any excuse for that

1 behaviour. You know, as a team I think I thought we  
2 were getting on quite well. I wasn't aware of the  
3 undercurrents that were going on. I think that, from  
4 my understanding I think The Trust was fairly open with  
5 what was going on, and that's from me reading the 12:08  
6 documentation that I've had over the last few months.  
7 But, in saying that, I don't think there's -- I really  
8 can't excuse taping conversations without people  
9 knowing about it. Particularly because you can lead  
10 a -- you know, you can lead a conversation any way you 12:08  
11 want if you're taping it and the person doesn't know  
12 about it.

13 114 Q. I move on to a number of discrete issues, just to take  
14 your view on them. The Inquiry is interested in the  
15 governance arrangements primarily in association with 12:09  
16 clinical duties and particularly where there is  
17 perceived to be a shortcoming in the performance of  
18 a clinical duty or an aspect of a clinical duty and  
19 where that might be known the question arises well,  
20 what was done by the system of governance to either 12:09  
21 prevent it or address it.

22  
23 The coroner for Northern Ireland, the senior coroner  
24 for Northern Ireland, Mr. Leckey, wrote to the Chief  
25 Medical Officer's office in or about 2013, before you 12:10  
26 came to The Trust, to raise concerns about the death of  
27 a patient in a private healthcare facility who had  
28 undergone a procedure and had suffered, I think,  
29 hyponatremia as a result the use of the irrigation



1 fluid, glycine. I'm just giving you this by way of  
2 background. That led to the CMO directing Trusts to  
3 develop policies to move away from monopolar  
4 instrumentation in glycine and towards saline and  
5 bipolar instrumentation. You're familiar with the 12:11  
6 background to that?

7 A. Yes, that was a female patient rather than a urology  
8 patient but I am aware of the background and the  
9 reasoning for it, yes.

10 115 Q. Yes. Obviously that transition or the need for that 12:11  
11 transition was a subject matter for discussion across  
12 the urology team and, as part of that discussion, you,  
13 as individual clinicians, trialed different types of  
14 instrument and then fed back your views. I want to  
15 draw your attention to the views expressed by 12:11  
16 Mr. O'Brien in association with that. Maybe take you  
17 to ne example, in the interests of brevity, if we go to  
18 TRU-395978. He is writing to the group, you included,  
19 and he is explaining that, just about halfway down,  
20 that he last used a bipolar instrument two weeks ago to 12:12  
21 resect a moderately enlarged prostate gland of an  
22 elderly patient. He had to abandon the bipolar  
23 resection after ten minutes because of bleeding and  
24 what he describes as poor irrigation and visualisation  
25 and moved across to, as he says salvaging the situation 12:12  
26 with monopolar resection. He says:

27  
28 "I have therefore pledged not to do so again. I will  
29 not use or try bipolar resection again."

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

It didn't, I suppose, become an issue for close on two years because it took that length of time for The Trust to purchase the equipment. Did you observe any difficulty, personally, in using the bipolar equipment or, indeed, I should ask you, did you use it from the outset and what difficulties, if any, did you experience? 12:13

A. So I used it from the outset and I still use it. I don't use monopolar at all now, either privately or publicly. It is a slightly different way of doing it and you just have to change the way that you're doing it. It is a bit slower than what we were used to using monopolar. I think if you do it too quickly you don't fulgurate the vessels. One, I don't think it is inferior, it is obviously superior, it's much safer. I have done very large prostates with it and had no problem diatherming vessels I've had no problem with the irrigation. So I think it is a new technique and I think you just have to give it time and get used to it. I mean, it's a slightly different way to doing it to the monopolar, but it is certainly not inferior. 12:13 12:14

116 Q. I have not taken you, again in the interests of brevity, perhaps, to any of the policy documents and what have you, but would you have been making the transition, making the switch upon the purchase of the equipment because you felt an obligation to do so? The Trust were telling you this is the policy, you must do it, or did you feel that you had a discretion in terms 12:14

- 1 of whether you moved?
- 2 A. well, I knew it was coming in and so I knew that The  
 3 Trust was changing over. But I also realised it was  
 4 a much safer way, safer for the patient. The risk of  
 5 what we call TUR syndrome, you don't get it with 12:15  
 6 bipolar. So anything that's safer must be better, you  
 7 just have to get used to it, and I'm very happy with it  
 8 now. You know, at that time I was obviously in  
 9 a period of transition but I certainly didn't have the  
 10 strong feelings that Mr. O'Brien expressed in that 12:15  
 11 email.
- 12 117 Q. This is the clearest, I suppose, indication of  
 13 Mr. O'Brien's views that we're aware of being  
 14 expressed, if you like, publicly to you as a group.  
 15 Did you respond in any way to this, whether directly to 12:16  
 16 him or to colleagues?
- 17 A. I certainly didn't send an email to him, because you'd  
 18 have a copy of the email, and I know I didn't anyway.  
 19 Two is, whether I had spoken to colleagues about it,  
 20 I probably did but I don't know what I said and I don't 12:16  
 21 know what the outcome of it was because it was just  
 22 a conversation.
- 23 118 Q. Did you know or did you have any awareness of how  
 24 Mr. O'Brien responded to the availability of the new  
 25 equipment in 2018? In other words, do you know whether 12:16  
 26 he -- did you know at that time whether he made the  
 27 transition?
- 28 A. well, I have a vague memory of him saying at a meeting  
 29 some words to that effect, that he didn't like it,

1 perhaps that he wasn't going to be using it, I don't  
 2 know. But I was never in theatre with him so, apart  
 3 from meetings, I don't know what he did. But if he  
 4 said he wasn't doing it, I assume he wasn't. But, as  
 5 I said, I wasn't witnessing what he was doing. 12:17

6 119 Q. Yes. Just to broaden that question out, have you any  
 7 recollection of him being challenged by colleagues,  
 8 perhaps with Mr. Young as lead, any recollection of  
 9 that type of conversation?

10 A. I don't have a recollection, but that's not to say 12:17  
 11 it didn't happen. I just don't have a recollection of  
 12 it.

13 120 Q. Are you of the view that colleagues were bound to make  
 14 this switch to bipolar and that, taking into account  
 15 patient safety concerns, there really isn't any excuse 12:18  
 16 for not making the switch?

17 A. That was my understanding that, you know, that we were  
 18 bound to do it and it wasn't a matter of you could or  
 19 you can't -- you can do what you like. As a team, my  
 20 understanding is that we were all moving that way. 12:18

21 121 Q. The Trust has produced a paper which might be described  
 22 as a simple retrospective audit of what was done by  
 23 clinicians in the urology team when the equipment was  
 24 purchased. I'll just take your comments on that. If  
 25 we go to TRU-396059. As I say, a retrospective 12:19  
 26 produced relatively recently at the Inquiry's request.  
 27 And the question that was explored was whether it was  
 28 known if Mr. O'Brien used the bipolar equipment or did  
 29 he continue to use monopolar. The methodology is

1           briefly described as taking the period January to  
 2           December 2019 and looking at the behaviours of all  
 3           consultant urologists. Then if we scroll down to the  
 4           next page, try and get this table on the same page.  
 5           We can see, Mr. O'Donoghue, that during the period -- 12:20  
 6           you weren't limited, just to explain, you weren't  
 7           limited in what you did to simply five procedures, it  
 8           was more than that, but in the interests of producing  
 9           results quickly they looked at a sample of your cases  
 10          and a sample of everyone else's cases on a pro rata 12:20  
 11          basis, as far as we understand. So you are said to  
 12          have -- they have looked at five of your cases and they  
 13          were all performed by using bipolar instrumentation in  
 14          saline. That would not be a surprise to you,  
 15          assumedly, that's what you think you did? 12:21  
 16          A. Yes.  
 17   122    Q. That information is readily available to The Trust,  
 18          isn't it? It's available on the theatre records for  
 19          patients?  
 20          A. Yes. It probably would be going in the theatre book as 12:21  
 21          well.  
 22   123    Q. Yes. As you can see, Mr. O'Brien, two up from you,  
 23          consistent with what he said would be his approach when  
 24          he spoke about it in the email in 2016, there were ten  
 25          of his patients looked at, nine of which he had 12:21  
 26          performed the procedure for and the one bipolar was --  
 27          you performed it for his patient is my understanding of  
 28          the analysis. So Mr. O'Brien, of the ten cases looked  
 29          at, nine have been performed with a monopolar

1 instrument, seven in glycine, two further cases where  
 2 there's no indication of the fluid used because the  
 3 balance fluid chart has not been found in the notes?  
 4 A. It must have been lost or something.  
 5 124 Q. Just from a governance perspective, could you help us 12:22  
 6 with this. Plainly, Mr. O'Brien had made his views  
 7 known but there was otherwise a method, even if you  
 8 weren't in theatre with him, for Trust managers to  
 9 understand with a little bit of work whether he was  
 10 complying with Trust policy; is that fair? 12:23  
 11 A. Yes, absolutely, there's a record there. Is that from  
 12 2019.  
 13 125 Q. Yes?  
 14 A. That's kind of a year after we started or --  
 15 126 Q. It's a year after the introduction of the new 12:23  
 16 equipment.  
 17 A. Okay.  
 18 127 Q. This is an example of, I suppose, of a safety issue  
 19 which The Trust were aware of, aware of the potential  
 20 for difficulty. They had been directed by the Chief 12:24  
 21 Medical Officer's office to subject the process to an  
 22 audit. It appeared that one wasn't done  
 23 contemporaneously. Had you, and maybe you weren't  
 24 aware of this at the time, but broadening this out, had  
 25 you any sense more broadly of the Trust's governance 12:24  
 26 arrangements failing to superintend the work of  
 27 clinicians?  
 28 A. Well I wasn't aware they were keeping a -- I just  
 29 hadn't thought of it, that they kept a record of what

1 we were using.

2 128 Q. This record, just to be clear, this audit has been done  
3 within the past several months and it has been  
4 performed by looking at available documentation. It  
5 wasn't gathered at the time and I suppose that's my 12:25  
6 point to you in asking for comment. There's a safety  
7 issue associated with a new policy. They have been  
8 asked to audit compliance with the new policy. It  
9 wasn't done, and I'm asking whether you had a broader  
10 sense whether the work of clinicians was the subject or 12:25  
11 ought to have been the subject of the production of  
12 governance-type data in the context of patient safety?

13 A. I assumed that all our activities were being monitored,  
14 obviously, and, if not, that is a governance issue.  
15 I mean certainly, if they were introducing a new 12:26  
16 technique and there was non-compliance or poor  
17 compliance, I mean we're all meant to be moving towards  
18 a government directive, well, there's a failing on the  
19 part of The Trust not to implement that or -- force is  
20 the wrong word -- not to ensure we are all using the 12:26  
21 same technique.

22 129 Q. We heard yesterday, in glowing terms, how the work of  
23 your Patient Safety Meeting is now, I suppose, much  
24 more interesting, much more dynamic in how it  
25 approaches matters. Its focus on audit, its focus on 12:27  
26 morbidity cases whereas the I suppose somewhat staler,  
27 more traditional approach had been to look at mortality  
28 as a primary focus. Is this kind of issue something  
29 that your Patient Safety Meeting takes on board?

- 1           A.    I'm not entirely sure how it would get into the  
 2                   meeting, but certainly it is something I would have  
 3                   thought that certainly if we are developing or changing  
 4                   over to something, it is something that should get into  
 5                   our Patient Safety Meeting, because it is probably the 12:27  
 6                   forum where everybody is there and you can highlight  
 7                   that somebody is not adhering to it. So it really only  
 8                   gets into the Patient Safety Meeting if something goes  
 9                   wrong. I suppose that is something that has gone  
 10                  wrong, but you have to know about it to look for 12:28  
 11                  something. But I think it's certainly something that  
 12                  should go before the Patient Safety Meeting, but I'm  
 13                  not entirely sure how it would get into it.
- 14   130   Q.    Moving to the issue of actioning the results of  
 15                   investigations, the scenario is you are the consultant 12:28  
 16                   who refers a patient for, whether it is bloods, whether  
 17                   it's pathology, whether it's some form of scan. The  
 18                   practice that you adopt in relation to that is what?  
 19                   How do you action the results, how quickly do you do  
 20                   it, and is there an importance associated with 12:29  
 21                   promptness?
- 22           A.    So what I do now is different to what I did several  
 23                   years ago, the system has changed. So what I do now is  
 24                   that all results come on NIECR, and I sign them off.  
 25                   So I have changed over to that, I don't know, a couple 12:29  
 26                   of years ago, maybe two years ago. And that's a much  
 27                   safer way because all results come through that. So,  
 28                   again, I dictate on all of them but I sign them off as  
 29                   well, and action them. I do get emails from X-ray if



1 there's -- I would pick them up myself anyway, but  
2 I also get the emails if there's a CT or MRI or  
3 ultrasound that has something concerning on it, I would  
4 get an email from them as well. And so I would go in  
5 and action that. 12:30

6  
7 My secretary also, she gets emails, and even though  
8 I've already actioned them, she also gives me a copy of  
9 the emails in case I haven't seen them. She looks out  
10 and ensures, she is very good at ensuring I get these 12:30  
11 things done. She keeps badgering me, I mean that in  
12 a nice way. We also now get letters and some results  
13 as PDFs which my secretary puts into a folder and  
14 I deal with those on a weekly basis. Occasionally  
15 I get paper copies, but a lot of it has now gone 12:30  
16 online.

17 131 Q. Your system prior to it going electronic?

18 A. So my system prior to it going electronically was all  
19 the results came back as paper copies. My secretary  
20 put them into a folder and I dictated them from that 12:31  
21 folder and signed them and passed them back to her.  
22 I think I probably got emails from X-ray, I don't know  
23 when that started, but I would have got emails from  
24 X-ray as well. If something needs to be acted on, if  
25 she had been contacted by somebody, she would have 12:31  
26 highlighted that for me as well. Again she ensured,  
27 I met with her and she ensured I did them in a timely  
28 fashion. So my secretary is very good for ensuring  
29 that they were done previously and they were safely in

- 1 a folder which I kept in the outpatients in the  
2 Thorndale unit, and I dealt with them.
- 3 132 Q. Was the DARO system a feature of your practice.  
4 A. It was. So it also came back to her, she put them in  
5 the folder so I dealt with them. 12:32
- 6 133 Q. Was DARO of any assistance to you in managing the need  
7 to look at results?  
8 A. Yes, because, I mean, patients that had been booked for  
9 a scan, the results came back a few months later, so  
10 those results were put in front of me. They weren't 12:32  
11 appended to notes because that would create a mountain  
12 of -- so the paperwork is put in the folder and I could  
13 look to NIECR and get the details that way.
- 14 134 Q. Presumably DARO is for a number of purposes, but did  
15 it -- 12:32  
16 A. It ensured for me I got the result and I acted on it  
17 and I always dictated a letter.
- 18 135 Q. Thank you.  
19 A. To the patient, and copy the GP into it.
- 20 136 Q. Yes. We can see from your statement that a system -- 12:33  
21 I'm not sure if you mentioned it just in passing there,  
22 but there's a system now in place where you receive  
23 a colour coded reminder of how far you might be in  
24 arrears, if ever. If I could just illustrate that and  
25 have your comments? 12:33  
26 A. Every two weeks, I think.
- 27 137 Q. We saw it yesterday. TRU-301760. I think this is sent  
28 to you --  
29 A. Yes, you're not showing the good ones.

- 1 138 Q. I think the explanation is that you had just come back  
 2 off leave; is that right?
- 3 A. Yes. You know, if you have been doing, you know, in  
 4 Lagan Valley, doing a list or something, you hadn't  
 5 time that day to do it. It depends on your week. But 12:34  
 6 in general I think that they're good. They don't look  
 7 good there. But you know about it and just act on it.
- 8 139 Q. Does this kind of system give clinicians, perhaps you  
 9 have spoken to colleagues about this, additional  
 10 confidence that things don't get lost? 12:34
- 11 A. Well, I haven't talked to colleagues about it but  
 12 I find it useful. You know, if I'm -- you know,  
 13 I don't need that to know that I need to do some stuff,  
 14 to do some paperwork. But it does remind me, you know,  
 15 every week to get the numbers down on your results so 12:35  
 16 that I don't have a red box. So, yeah, it keeps me on  
 17 my toes, which is fine. I'm not unhappy with that  
 18 system. I just don't like being in the red and  
 19 I haven't been for quite a while.
- 20 140 Q. Thank you. The Inquiry has observed through a number 12:35  
 21 of examples, not just associated with Mr. O'Brien, but  
 22 there are some examples associated with him where there  
 23 is a tendency to let the result sit in the expectation  
 24 that the patient would be coming in for review and  
 25 then, for waiting list reasons or perhaps other 12:35  
 26 reasons, the review doesn't happen and the result goes  
 27 unread and unactioned. If I could bring you to  
 28 DOH-00041 by way of example. These are the findings  
 29 that, essentially -- it's obviously a bit of a complex

1 background to this patient. But the important fact is  
 2 that a scan was performed on 17th December 2019,  
 3 reported by radiology on 4th January, but no follow-up  
 4 occurred and the patient came back into the system then  
 5 in July of that year and the scan itself had identified 12:37  
 6 a suspicion of metastatic disease. Mr. O'Brien's  
 7 response to that, if I could have that up please,  
 8 AOB-41615. Commenting on the findings of the SAI  
 9 report, if I can just move down the page, please. Yes,  
 10 the point he's making is that the conclusions of the 12:38  
 11 SAI that this result should have been read and  
 12 actioned...

13  
 14 "Does not take account of the many administrative tasks  
 15 and expectations which competed for my inadequate time, 12:38  
 16 never mind provided to act upon. By the time I was  
 17 able to act upon the reported finding, I was even more  
 18 concerned with regard to the risk of this comorbid man  
 19 who would have been particularly vulnerable had he been  
 20 infected with the SARS corona virus". 12:39

21  
 22 That's a reference to the time in which we lived in the  
 23 spring of 2020. Plainly, if a scan is available  
 24 showing a suspicion of metastatic disease, I think  
 25 Mr. O'Brien would accept this is something that 12:39  
 26 requires urgent treatment in an ideal world.

27 A. Yes.

28 141 Q. But the mitigation that he puts forward is that he was  
 29 fighting to deal with the many other competing

- 1 administrative tasks and this case, presumably, slipped  
 2 down the priority list. Is that something that you  
 3 recognise as an occupational hazard?
- 4 A. There are lots of competing duties, but I think  
 5 responding to results is a very important one and, by 12:40  
 6 not looking at them, you end up with an issue like  
 7 this. I think my understanding is that Mr. O'Brien  
 8 used to not act on results until the patient came to  
 9 the clinic, the results were appended to the notes,  
 10 which, in itself, is a very dangerous activity because 12:40  
 11 our clinics are so busy, so booked up, you may not see  
 12 a patient in a timely fashion. So it is just fraught  
 13 with danger. So I think you can't depend on the  
 14 patient coming into clinic in two weeks or one month  
 15 because it may not happen. So that is a danger in 12:41  
 16 itself. So I think you have to act on the result when  
 17 it comes to hand. I think you just have to manage your  
 18 time.
- 19 142 Q. Can you anticipate getting into these kinds of  
 20 difficulties where you have other seemingly more 12:41  
 21 important duties to perform and the actioning of the  
 22 result gets lost, or do you have a system in place,  
 23 perhaps with your secretary, that wouldn't allow for  
 24 that?
- 25 A. Well, I hope it never happens. I mean, I do everything 12:41  
 26 in my power to prevent it happening. As I said, things  
 27 have changed, now it comes through NIECR, we get this  
 28 tally of how we are doing. So there's lots of built in  
 29 mechanisms to stop that happening, so I hope it never

1 happens.

2 143 Q. Yes. Just in relation to Mr. O'Brien, we heard from  
 3 Mr. Young yesterday and his evidence suggested that  
 4 there was a level of awareness of Mr. O'Brien's  
 5 approach to actioning results, so much so that on some 12:42  
 6 unspecified date he couldn't put, other than a broad  
 7 period of time on this, but the issue was discussed  
 8 with particular focus on Mr. O'Brien's practice on this  
 9 at a departmental meeting. Is that you something you  
 10 recall? 12:43

11 A. No, I don't recall. I have a memory of going to  
 12 Mr. O'Brien's secretary's office with lots of notes and  
 13 results stuck on the notes. But that's thinking about  
 14 things after, now rather than then. I don't think  
 15 I was aware, personally I wasn't aware that he was 12:43  
 16 actioning results only when the patient came to clinic.

17 144 Q. Thank you. The issue of preoperative assessment of  
 18 patients, we touched on it briefly on the last occasion  
 19 when we were looking at patient 91's case. Patient  
 20 91's case was a stent management case. I think I was 12:43  
 21 wanting to focus on stent management and you were were  
 22 I think driving me toward the preoperative assessment  
 23 aspects of that case.

24 A. Okay.

25 145 Q. More politely you thought that was the more important 12:44  
 26 aspect of the case. You did, in your evidence, explain  
 27 the issues around stent management were primarily ones  
 28 of resources, and we know from Patient 91's case that  
 29 there was a failure of preoperative assessment in

1 association with a midstream urine test.

2

3 The issue of pre-op assessment more generally,  
4 particularly where there are patients with significant  
5 comorbidities, is it written in practice and, perhaps 12:44  
6 more importantly, is it written into The Trust's  
7 systems that effective preoperative assessment has to  
8 be performed?

9 A. That's my understanding and that's the way I practice.  
10 Particularly, a lot of our patients are elderly, 12:45  
11 infirm, and not very fit, so I would want all of my  
12 patients preassessed. If I had even greater concerns  
13 I would want one of the anaesthetists attached to  
14 preoperative assessment to review the patient. I have  
15 done that when I think they may not get enough 12:45  
16 assessment from one of the nurses, I would get an  
17 anaesthetist to look at the patient, particularly  
18 complicated patients I would.

19 146 Q. How is that managed administratively? Say there's  
20 a clinician not as focused as you on the importance of 12:45  
21 it, how is it managed administratively to ensure that  
22 it is done?

23 A. Well there's a preoperative form that we fill out, and  
24 that goes to pre-op, so the patients are pre-oped. So  
25 I think in general in my understanding the patients are 12:46  
26 all preassessed but if a patient ends up on the ward on  
27 the day of surgery and has not been preassessed, the  
28 anaesthetist doing the operation will see the patient  
29 and I will see the patient. If they are having a stone

1 procedure, a kidney stone, and they haven't had urines  
 2 done, that would be enough for me to cancel the  
 3 patient. I would certainly want, if the anaesthetist  
 4 was concerned about the medical side of things, they  
 5 would cancel the patient. So it is not just the 12:46  
 6 surgeon, it is the anaesthetist as well. What I'm  
 7 really saying is if they have got through without  
 8 having a preassessment and they are seen by an  
 9 anaesthetist on the day and the anaesthetist is  
 10 concerned about the medical aspects of the patient's 12:47  
 11 health, that patient would be cancelled.

12 147 Q. We have, from time to time, looked at the case of  
 13 patient 90. I think it is a case that made its way  
 14 into the Patient Safety Meeting several years ago.  
 15 You'll see the name of the patient in the list in front 12:47  
 16 of you. You may be familiar with aspects of the case.  
 17 But, in essence, that was a case of a patient with  
 18 significant comorbidities. Mr. O'Brien was the  
 19 surgeon. The case was, in late 2016, assessed and  
 20 found to be in need of an echocardiogram. That wasn't 12:48  
 21 performed, it wasn't signed off. Two years later, in  
 22 May 2018, the patient comes in for surgery and there  
 23 is -- at least the findings of the SAI show there was  
 24 insufficient time to perform an adequate preoperative  
 25 assessment and he wasn't -- so, for example, the 12:48  
 26 echocardiogram issue wasn't addressed. The patient  
 27 regrettably died shortly after surgery.  
 28  
 29



1           Knowing your case -- you are nodding your head,  
2           suggests you have some familiarity with it?

3           A.    Yes, I know that case.

4   148   Q.    I'm not going to take you to the SAI. I suppose the  
5           question that arises out of that is do you think that   12:49  
6           the issue of -- the importance, I should say, of  
7           preoperative assessment has been emphasised as a result  
8           of learning deriving from that case?

9           A.    I mean that case, that patient had, as you said a lot  
10          of comorbidities. The patient had something called   12:49  
11          myelodysplasia. I think he needed a transfusion  
12          preoperatively. He obviously had cardiac issues if he  
13          needed an echo. He was having quite a major operation,  
14          he was having ureterolysis which is where you free up  
15          the ureters so a big operation. So, you know,   12:49  
16          something like that, you don't just tag on the end of  
17          your list. You know, it should have gone through  
18          preoperative assessment. It should have been planned,  
19          put on the list weeks down the line. An operation  
20          that's not done that often, either, in our hospital, it   12:50  
21          should have been well planned and not quickly put on  
22          the list and booked for surgery. I think it should  
23          have been worked up more fully.

24   149   Q.    I'll read the recommendations that arose from that case  
25           and, in essence, it was:   12:50  
26  
27           "The Trust should develop and implement guidance for  
28           clinical results signoff."  
29

1 which is the echocardiogram point. Secondly:

2

3 "All cases undergoing elective surgery must have  
4 a formal pre-operative assessment."

5

12:51

6 Nice words, but how has that case, in practical terms,  
7 change the emphasis, if at all, in terms of the  
8 assessment issue?

9 A. Well, my understanding is that all patients coming to  
10 theatre now have been preassessed. I haven't seen a 12:51  
11 patient -- I can't remember the last time I've seen  
12 a patient that hasn't been preassessed for a list.  
13 They're taken off the list, the waiting list, patients  
14 who have been preassessed. So I would have thought  
15 patients wouldn't be picked who are not preassessed, 12:51  
16 who are not ready for theatre.

17 150 Q. Yes, but we saw in the case of Patient 90 that, whether  
18 it was the surgeon or whether it was the anaesthetist  
19 who ought to have taken responsibility, the patient  
20 underwent the procedure notwithstanding the absence of 12:52  
21 the assessment?

22 A. I don't know how he was picked, this patient, how this  
23 patient was put on the list, whether he was just taken  
24 off the list or how he was put on the operating list.

25 151 Q. So I suppose the question is in governance terms, is it 12:52  
26 possible to circumvent the requirement on the part of  
27 a decision by the surgeon, we're just going to get on  
28 with it, is it possible --

29 A. I suppose somebody can actively, if they want to, avoid



1 sort of engaging with management, sort of not."

2

3 Can you help us to understand whether you were  
4 personally aware of him not engaging with management  
5 over that period of time or what do you rely on as the 14:07  
6 source for that answer?

7 A. I didn't know at the time. I subsequently knew from  
8 the paperwork I received in preparation for this. So  
9 that's why I became aware of it.

10 155 Q. So you are interpreting the paperwork that you have 14:07  
11 read that has been supplied to you for the purposes of  
12 the Inquiry?

13 A. Yes, it wasn't something I knew personally.

14 156 Q. Is there any particular aspect of it that suggested to 14:07  
15 you that he wasn't properly engaging with management,  
16 as you saw it?

17 A. Well, from what -- I can't remember the details but  
18 I think there were lots of Medical Directors and  
19 Clinical Directors and various other management people  
20 who were -- I can't recall one particular instance but 14:07  
21 I just remember that there was a constant to and fro.  
22 And I did see a comment last night where he said he  
23 wasn't going to be engaging with Mark Fordham for some  
24 reason. I didn't see why not. Maybe they had some  
25 issues, but I saw he wasn't having anything else to do 14:08  
26 with Mark Fordham so I don't know why.

27 157 Q. You formed a general sense --

28 A. I formed a general feeling rather than anything in  
29 particular. That was the impression I got.

1 158 Q. Just to be clear, you're not relying on any particular  
 2 direct witnessing of a lack of engagement or anybody  
 3 telling you that there was a lack of engagement, you  
 4 formed this view from your reading?

5 A. Formed the view from my reading. 14:08

6 159 Q. Very well. Thank you. Moving on, I want to spend,  
 7 I suppose, the remainder of our time on the  
 8 disciplinary meeting in urology and aspects of that,  
 9 that's the uro-oncology meeting. Just a brief issue in  
 10 relation to quoracy of the meeting. The Inquiry has 14:09  
 11 been on this ground several times with several  
 12 witnesses, but just to orientate you, it was the case  
 13 for a number of years that the uro-oncology meeting  
 14 struggled to secure the attendance, primarily of  
 15 oncologists but also, on a regular basis, radiology. 14:09  
 16 2016, 51 percent attendance by radiology, 28 percent  
 17 from clinical oncology, to quote the statistics from  
 18 one year, and it continued over a lengthy period of  
 19 time. Just pulling up a particular observation in  
 20 relation to it, November '18 we look at this email, 14:10  
 21 AOB-81751. This is an email, just scrolling down,  
 22 where Arthur Grey is saying in the context of radiology  
 23 presence at uro-oncology MDM, that he hasn't reviewed  
 24 the cases but he would be happy to display the cases  
 25 and read out the reports. He says: 14:10  
 26  
 27 "The whole situation is dangerous and unsatisfactory.  
 28 The issue has been raised numerous times before. It is  
 29 up to the Clinical Director to assign a radiologist to

1 cover Dr. Williams. This may involve having to  
 2 outsource clinical work or to allocate as a waiting  
 3 list an initiative to accommodate it. An MDM cannot  
 4 function without a radiologist."

14:11

6 That's it, I suppose, it encapsulates the problem.  
 7 I suppose at a later point Mr. Glackin reflects that  
 8 urologists are in a very exposed position. Reference  
 9 for that is AOB-81757.

14:11

11 Did you feel, as a urologist participating in the MDM,  
 12 that the absence of oncology frequently, radiology  
 13 perhaps less frequently, was a major issue for the  
 14 quality and the safety of the MDM?

15 A. well, I suppose, when we didn't have a radiologist and 14:12  
 16 there was only a single radiologist at that time, that  
 17 reflects, I think, the difficulty in recruiting senior  
 18 doctors in Northern Ireland. We would have to roll the  
 19 patients over very often. So, in other words, if there  
 20 wasn't a radiologist and we wanted an opinion, we would 14:12  
 21 have to roll them over to the following week or the  
 22 following week, depending on if a radiologist was there  
 23 or not, which was far from satisfactory. And I think  
 24 to be fair to Mark Williams, he was probably being  
 25 pulled in other directions by management and the 14:12  
 26 radiology department as well, or he was away,  
 27 depending.

28 160 Q. So there was a work around, rolling a patient over to  
 29 the next meeting?

- 1 A. Yes, which again is unsatisfactory because it delays  
 2 a decision.
- 3 161 Q. Just reflecting on that, were you, I suppose,  
 4 a straightforward participant in the MDM hoping that  
 5 somebody on the outside was going to resolve this? Did 14:13  
 6 you feel I suppose powerless in terms of improving  
 7 matters?
- 8 A. I knew that emails were going to various people. So  
 9 I knew that was happening. So I knew that the people  
 10 who could change it were informed about it. But it's 14:13  
 11 not as easy to pick a radiologist, more so  
 12 a uro-radiologist, which is a subspecialty of  
 13 radiology, you know, they're not that easy to get,  
 14 particularly in Northern Ireland.
- 15 162 Q. We have the figures for more recent times and there 14:14  
 16 does seem to be some improvement, albeit not complete  
 17 perfection in terms of attendance. Just briefly  
 18 looking at it, WIT-24251, which is the figures for the  
 19 first five months of last year. You can see in red  
 20 those meetings where there is an absence of one of the 14:14  
 21 standing members or standing disciplines of the  
 22 meeting.
- 23 A. I think if you were even to look at it now, last week  
 24 we had three radiologist, you know, so things have  
 25 certainly got better. I think you have obviously less 14:14  
 26 oncologists. We tend to have two medical oncologists  
 27 at the moment and one clinical oncologist, which is  
 28 a radiation doctor. I suppose if the radiation doctor  
 29 isn't there, we roll it over, if we want an opinion,

1           until the next week she is there. Things have got  
2           significantly better, much, much better than in the  
3           past.

4   163   Q.   Do you think back on those, a period of several years,  
5           where the attendance couldn't be secured of these key   14:15  
6           disciplines that you were really operating in a meeting  
7           that didn't provide the kind of quality of  
8           multi-disciplinary involvement that patients had  
9           a right to expect?

10          A.   Well, I suppose it wasn't a multidisciplinary meeting   14:15  
11           by definition, in that sense. So looking back on it,  
12           it was far from satisfactory.

13   164   Q.   Yes.  
14          A.   I think. But in saying that, you know, if there was  
15           any -- as I said, if any patient needed an opinion from   14:16  
16           whichever specialty was absent, it could be rolled over  
17           and was rolled over until they were available.

18   165   Q.   Could I move from that specific issue to an issue  
19           surrounding behaviour at MDM and try to get a sense  
20           from you as to the approach adopted, whether it was   14:16  
21           a collegiate atmosphere, whether colleagues could  
22           challenge each other in terms of the management of  
23           patients and the direction of travel for patients or  
24           whether there was any overbearing behaviour that might  
25           have impacted on the performance of the MDM.   14:17  
26

27           I ask about that latter aspect, whether there was any  
28           overbearing behaviour, in light of the evidence  
29           we received from Kate O'Neill, Leanne McCourt, and



1 Mrs. Corrigan in relation to Mr. O'Brien's approach to  
 2 you. It appears to be one incident, you can maybe help  
 3 us on this. If I could set it up by just referring to  
 4 Kate O'Neill's evidence, WIT-80959. She records, at  
 5 48.4, that: 14:18  
 6  
 7 "In the main communications were courteous in nature.  
 8 Only on a few occasions have I ever felt a little  
 9 ill at ease. One example I can recall was when  
 10 Mr. O'Donoghue was chair of the MDT. The meeting 14:18  
 11 commenced a few minutes ahead of the agreed start time  
 12 of 14.15 p.m. Mr. O'Brien joined the meeting at the  
 13 agreed time or a few minutes later, I cannot be sure.  
 14 Mr. O'Brien expressed dissatisfaction that the meeting  
 15 had commenced ahead of schedule. He directed his 14:18  
 16 dissatisfaction toward the Chair. His voice was raised  
 17 and tone forceful in nature. Mr. O'Donoghue apologised  
 18 that the meeting had commenced ahead of time and after  
 19 approximately five minutes, during which time  
 20 Mr. O'Brien expressed his discontent, the MDT continued 14:18  
 21 to a conclusion. As none of the content of the  
 22 communication was directed towards me, I did not dwell  
 23 on this encounter, although at the time I felt  
 24 embarrassed for Mr. O'Donoghue. I thought the  
 25 encounter was unnecessary as the discussion and 14:19  
 26 outcomes up to that point could have been recapped. At  
 27 no time did I feel that patient care or care planning  
 28 was impacted upon."  
 29

1 So, to summarise, has felt ill at ease on a few  
 2 occasions, generally communications were courteous,  
 3 recalling one particular incident concerning you.

4  
 5 I want to ask you, was it a one-off incident or was it, 14:19  
 6 as Mrs. Corrigan has reported in her evidence, that she  
 7 couldn't actually believe the way Mr. O'Brien had  
 8 spoken to you and she said that you told her that it  
 9 was a regular occurrence.

10 A. Maybe "regular" is overstating. Probably a few 14:20  
 11 occasions, I could probably count them, maybe two or  
 12 three, it probably wasn't too many. I can remember  
 13 that incident, certainly.

14 166 Q. Is it appropriate to put it down to somebody maybe  
 15 having a bad day and it's no more significant than 14:20  
 16 that, or did it affect relationships between you and  
 17 him or relationships within the team?

18 A. I don't think it affected relationships between us.  
 19 I was obviously quite miffed at the time because I did,  
 20 I probably bumped into Martina and said it to her. But 14:20  
 21 I forgot about it. I wasn't storing it up for future  
 22 reference. But other people, lots of other people  
 23 there noticed it and, obviously, didn't think it was  
 24 appropriate. It wasn't appropriate in front of people.  
 25 I mean, as I said, I had forgotten about it but it 14:21  
 26 wasn't an appropriate way to act.

27  
 28 The circumstances was that I was chairing the meeting.  
 29 Everybody was there, we were all sitting around.

1 I wasn't too sure whether he was going to come or not,  
 2 so I started, probably two or three minutes before the  
 3 actual start time, and that obviously annoyed him. He  
 4 arrived and then spoke to me.

5 167 Q. Yes. So from his perspective he regarded it as 14:21  
 6 a discourtesy perhaps, that you started it early and  
 7 ahead of his attendance?

8 A. Sure. But I probably wouldn't speak to somebody in  
 9 public like that. I think it probably wasn't an  
 10 appropriate way to speak to somebody. If he had an 14:22  
 11 issue, he probably should have done it privately, not  
 12 in front of 10, 12 people. It wasn't an appropriate  
 13 way to speak to somebody, not a colleague. Saying  
 14 that, I had forgotten about it and I expected never  
 15 again to remember it. It was brought up by other 14:22  
 16 people.

17 168 Q. Within Mr. O'Brien's witness statement he has worked  
 18 through his various colleagues and offered comments in  
 19 respect of how he viewed them as clinicians or in other  
 20 activities and he has drawn critical attention to you 14:22  
 21 in particular. If I just bring it up on this screen,  
 22 please, WIT-82540. It is paragraph 400. He says:

23  
 24 "The only reason for my having any concern regarding  
 25 the practice of my former colleague, 14:23  
 26 Mr. John O' Donoghue, was in his previewing of cases in  
 27 preparation for urology MDMs which he chaired, and in  
 28 the chairing of them. I have no doubt that he did not  
 29 adequately preview cases for MDM. On inquiring why he

1 had not adequately previewed a case while that case was  
2 being discussed, he explained that he did not have  
3 adequate time to do so. In that regard, he could  
4 hardly be faulted as we did not have adequate time to  
5 prepare for MDM as Chairs, if at all. The lack of 14:23  
6 adequate preview probably also contributed to the  
7 quality of his chairing, as his dictation of the  
8 outcomes of MDM discussions was often truncated or  
9 incorrect, as in the case of Service User A."

10  
11 I'm going to give you the opportunity to deal with each  
12 of the aspect of that, but he points to a specific  
13 occasion when he says he enquired from you whether you  
14 had adequately prepared. Can you remember him speaking  
15 to you in those terms? 14:24

16 A. I can't remember him speaking to me about it, but I can  
17 answer that statement very strongly. I mean, it's  
18 complete rubbish. I mean that sincerely. I put a lot  
19 of effort into the MDMs. I've asked my colleagues  
20 since then, since I've seen that because Mr. O'Brien 14:24  
21 never spoke to me about it, what they felt, and they  
22 totally disagreed with it. It is far from true. I put  
23 a lot of effort into -- you could not turn up to an MDM  
24 without preparing it because there's too much work,  
25 there's too much information that you can just read it. 14:25

26  
27 If there was an incident, I don't know, maybe he asked  
28 me about something and I probably -- I might have  
29 been -- sometimes if I had a clinic or something or if

1 I had been on call, I may have said that I didn't know  
 2 one particular minutiae of a patient, but I don't  
 3 remember the incident. But I think that is complete  
 4 rubbish.

5 169 Q. I want to be clear about what I'm asking you again. 14:25  
 6 I think you've answered the question when I say he  
 7 seems to be pointing, albeit to -- without identifying  
 8 a case, seems to be saying 'I spoke to you and asked  
 9 whether you were unprepared' and you gave an  
 10 explanation but you don't remember him speaking to you? 14:26

11 A. I can't remember the incident. Certainly, if I did say  
 12 something and I would have still prepared the patient  
 13 because I spent, in those days I spent until 1 or 2 in  
 14 the morning preparing, so I put a lot of effort into  
 15 them. 14:26

16 170 Q. The Panel will recall your evidence from the previous  
 17 occasion when you went into some depth about the  
 18 preparation requirements. I don't propose to rehearse  
 19 that.

20  
 21 Just expanding it out from this, he says, with regard  
 22 to service user A, who we know as Patient 1, and I'm  
 23 going to come to that specifically, but the question to  
 24 you is did he ever come to you to say, with regard to  
 25 the outcome recorded for this patient, its 14:26  
 26 unnecessarily truncated and you have recorded something  
 27 that's incorrect?

28 A. No. Not at all. And none of my colleagues have ever  
 29 complained about the outcomes being truncated. But

1           then Mr. O'Brien, as I said, is very verbose and would  
 2           have -- a short outcome to him would have been  
 3           completely opposite to what he would do. He prefers  
 4           much longer outcomes.

5   171   Q.    Yes. The outcome, which we will come to look at it in   14:27  
 6           a moment, is that available to the clinician who has  
 7           charge of the case after the MDMs. So in this case it  
 8           is Mr. O'Brien's patient, Patient 1. Can he access the  
 9           outcome?

10          A.   He would see the outcome afterwards. I know we are   14:27  
 11          going to deal with it but Mr. O'Brien was also at the  
 12          meeting. His patient was being discussed. So he would  
 13          have been taking an active part in the discussion.  
 14          He would have been listening to the outcome being  
 15          given. Obviously, if he didn't agree with it,   14:28  
 16          he didn't say anything at the time. So he was there  
 17          himself. So I find when I'm at the MDM and my patients  
 18          are being discussed, I'm listening even more acutely to  
 19          their outcome because I'm going to be seeing these  
 20          patients in clinic. He was either at the time not   14:28  
 21          listening, that's the only explanation I can add,  
 22          because he would have been listening to the outcome as  
 23          well.

24   172   Q.    I think the outcome he's concerned about was the  
 25           meeting in late October 2019. If we bring up the   14:28  
 26           reference for that. It is AOB-40070. So there had  
 27           been a previous discussion of this case --

28          A.    Again by me.

29   173   Q.    Sorry?

1 A. Again by me. I had chaired the previous meeting, so  
2 I had that outcome previously.

3 174 Q. On that occasion, we can see at the bottom of the page,  
4 29th August, the gentleman's disease is described as  
5 high-risk prostate cancer. Just above that, the TRUS 14:29  
6 biopsy had shown that seven out of 20 cores, it is  
7 Gleason 7 case, were impacted by the disease.  
8 Scrolling down the page, we can see that there is  
9 a description of the regimen undertaken by Mr. O'Brien  
10 with the patient, which was the prescription of 14:30  
11 Bicalutamide 150 and tamoxifen, leading to what's  
12 described as an intolerable adverse toxicity. The plan  
13 was -- well, he had stopped, he discontinued, and the  
14 plan was to recommence on, coincidentally, the day  
15 after the MDM, on 1st November on 50 mg of 14:30  
16 Bicalutamide, something I want to ask you about as  
17 well.  
18

19 Just dealing with the accuracy point, recalling that he  
20 said that your work in bringing together the outcome of 14:30  
21 the MDM discussions was both truncated and incorrect,  
22 the concern is that, just on the last line that we can  
23 see on the page:  
24

25 "Discussed at urology MDM 31st October. Review with 14:31  
26 Mr. O'Brien as arranged. Has intermediate risk  
27 prostate cancer. To start ADT and refer to ERBT."  
28  
29 So his concern is that this disease should have been

1 described as high-risk. Help me with that. Is  
 2 intermediate risk an appropriate categorisation? Is  
 3 that --

4 A. No, not for this.

5 175 Q. Okay. Is that incorrect? 14:31

6 A. It is, and it was probably either a slip of the tongue  
 7 or it was picked up incorrectly. But, as I said,  
 8 Mr. O'Brien was actually at the meeting. He would have  
 9 been listening to the outcome and he didn't at the time  
 10 pick up on that either. In saying that, it makes no 14:32  
 11 difference to the outcome because the patient was  
 12 recommended to start ADT. The patient was already on  
 13 Bicalutamide 50 mgs, that's not ADT. And ADT, as Mr.  
 14 O'Brien well knows, whilst it wasn't mentioned there,  
 15 and I've changed it to an LHRH analogue, he would have 14:32  
 16 known we were talking about an LHRH analogue. He was  
 17 at the meeting.

18 176 Q. We'll come to that. Mr. O'Brien, through his  
 19 representatives, instructed Prof. Kirby to look at  
 20 these cases. A small point, perhaps, but if we can 14:32  
 21 bring up his statement with regards to this patient or  
 22 his medical report. If we go to AOB-42542. Just the  
 23 bottom of the page, the last paragraph. I just wonder  
 24 whether there's any -- you say the intermediate  
 25 categorisation is with -- looking at it again is 14:33  
 26 incorrect?

27 A. It was correct, the one before that.

28 177 Q. The point of this, that Prof. Kirby looking at this  
 29 says that essentially at the point where the belief was



1           that it was three plus four equals seven Gleason, that  
 2           that is -- I'll read the full sentence.  
 3  
 4           "The result of the original transrectal biopsies was  
 5           misleading and had, in fact, undergraded the cancer to 14:33  
 6           three plus four equals seven, intermediate risk, rather  
 7           than the later discovered five plus five equals ten  
 8           high-risk disease."  
 9  
 10          Interpreting that he is saying that at the point in 14:34  
 11          time when the MDM had the case, 31st October, three  
 12          plus four equals intermediate risk is accurate at that  
 13          time, on the basis of the knowledge at the time --  
 14          A.    No it's not.  
 15 178 Q.    -- he seems to be saying it was only later when a TURP 14:34  
 16          was performed. You disagree?  
 17          A.    Yes, because the PSA was 21. So the PSA would bring  
 18          that into high-risk anyway. So three plus four with  
 19          a PSA less than 20 would be intermediate risk, but once  
 20          it goes over 20 it is high risk. So whether it is five 14:34  
 21          plus five, three plus four with a PSA greater than 20,  
 22          they are both high risk.  
 23 179 Q.    I do want to unnecessarily develop this. Mr. O'Brien  
 24          says you got it wrong. He seems to be suggesting that,  
 25          apart from this example, you sometimes get it wrong or 14:35  
 26          reach in correct --  
 27          A.    I don't think so, but --  
 28 180 Q.    That seems to be --  
 29          A.    That's what Mr. O'Brien says. But he's obviously

1           defending himself, isn't he? So there's that  
 2           particular instance. As I said, he was at the meeting,  
 3           he was listening, why didn't he correct it at the time?  
 4 181 Q.    So you reject the allegation that, to use his  
 5           language -- 14:35  
 6           A.    Totally.  
 7 182 Q.    -- "often incorrect". This was incorrect, but it was  
 8           something that could have been corrected at the time --  
 9           A.    Absolutely.  
 10 183 Q.    -- by others? 14:35  
 11           A.    I think often incorrect is disingenuous of Mr. O'Brien.  
 12           Particularly, he never spoke to me about it so  
 13           I totally disagree with him.  
 14 184 Q.    Just to be clear, you're saying he was there, what is  
 15           the methodology at the MDM that leads to the recording 14:36  
 16           of an outcome such as the one we've just looked at?  
 17           A.    So the chairman presents the case, it's discussed, the  
 18           histology is presented by the pathologist, the  
 19           radiologist -- reviewed by the radiologist. The  
 20           oncologist will have a say, if needed. The urologists 14:36  
 21           will discuss it, then we form a plan which is everybody  
 22           agrees upon. It is not just the chairman making up an  
 23           outcome, it is a collaborative approach. So if  
 24           somebody says something that's different from what you  
 25           expect, you would expect a person in the audience to 14:36  
 26           say, 'hey, you've got that wrong', it is high-risk,  
 27           low-risk, whatever. Unless you are completely looking  
 28           out the window and not taking part in the  
 29           conversation...

- 1 185 Q. Just taking it back to the representation that emerged  
 2 from that meeting at AOB-40070. His second point, that  
 3 is Mr. O'Brien's second point, is that the referencing  
 4 to the patient, this is Patient 1, to start ADT and  
 5 refer for ERBT is also incorrect because the ADT 14:37  
 6 regimen had already commenced with the prescription of  
 7 150 mgs of Bicalutamide, albeit discontinued for the  
 8 reasons set out in the record, so it shouldn't have  
 9 been recorded as "to start ADT"?
- 10 A. So ADT is either Bicalutamide 150 mgs or what we call 14:38  
 11 an LHRH analogue. It is an umbrella term for both of  
 12 those. We would have discussed at the meeting that the  
 13 patient would be given an LHRH analogue. Okay ADT is  
 14 not as precise, we changed that to a more precise term,  
 15 mentioning LHRH analogue now more directly. But 14:38  
 16 Mr. O'Brien would have known we were talking about an  
 17 LHRH analogue. So, again, I think he is not being  
 18 completely honest by saying the patient had -- he knew  
 19 exactly what was implied unless, again, as I said, he  
 20 wasn't listening to the conversation at the time. 14:39
- 21 186 Q. If it was intended as LHRH analogue as opposed to  
 22 another form of ADT, such as the 150 Bicalutamide, why  
 23 wasn't that recorded as a specific type of ADT?
- 24 A. It should have been, but we were already aware he was  
 25 on the -- he already had the 150. So it would be 14:39  
 26 highly unusual to go back, taking a treatment he was  
 27 already on. But I take your point, I should have  
 28 mentioned LHRH analogue directly. But you have  
 29 experienced urologists, we're not spoon feeding. But

1 I agree, we should have said exactly what one wanted.

2 187 Q. You question his honesty in that respect?

3 A. Well, in that he knows exactly what was discussed.

4 I think he's playing with -- I think he's playing with

5 what's written there, to some extent. 14:40

6 188 Q. Just to be absolutely plain, what you're saying is that

7 in this case, the discussion was with the knowledge

8 that the 150 mgs of Bicalutamide didn't work for this

9 patient because of the intolerable adverse toxicity, as

10 described there, it was with that body of knowledge in 14:40

11 mind that the expectation was explicitly made known at

12 the meeting that the recommendation was for LHRH?

13 A. It is. And I know because I rarely recommended

14 Bicalutamide 150. I would always recommended an LHRH

15 analogue. So I know that's what we would have been 14:41

16 talking about. I don't really recommend Bicalutamide

17 150.

18 189 Q. You would have observed from the paperwork in

19 preparation, and no doubt at the meeting as well, that

20 it was Mr. O'Brien's intention to commence the patient 14:41

21 on a dose of 50 mgs of Bicalutamide. Was that the

22 first time you had observed that or was that something

23 of Mr. O'Brien's practice that you were familiar with?

24 A. No, I wasn't familiar with it, no.

25 190 Q. Did it strike you as unusual that, as of itself, that 14:41

26 this was the plan for this patient?

27 A. It may have. But as far as I was concerned from the

28 MDT he was going to be going on to the LHRH analogue

29 anyway. He wasn't going to be staying on the

- 1           Bicalutamide 50, so he was going to be moving on to  
 2           that.
- 3 191 Q.     Just to expand this. We'll come back to the issue  
 4           about whether your record is truncated, just to  
 5           complete that in a moment. But just, it is convenient 14:42  
 6           to ask you about Bicalutamide as a choice for the  
 7           purposes of an ADT regime. Is 50 mgs as a dose, is  
 8           that known to you as an appropriate practice for ADT  
 9           purposes?
- 10          A.    No, it is not used for ADT. It is basically used to 14:42  
 11          cover, as you know, the flare, or when you are giving  
 12          combined hormone therapy, in other words if somebody is  
 13          developing what we call castration-resistant prostate  
 14          cancer and they are on a LHRH analogue, you can add in  
 15          Bicalutamide 50. 14:43
- 16 192 Q.     Just maybe slow up in the interests of the transcriber.  
 17           I think I see her struggling there. Perhaps your Cork  
 18           accent is ahead of us.
- 19          A.    Perhaps it is. I'm getting -- yes.
- 20 193 Q.     You had an oncology practice self-evidently. Was the 14:43  
 21           management of prostate patients, prostate cancer  
 22           patients a feature of your practice?
- 23          A.    Yes.
- 24 194 Q.     Would you have occasion to deploy an ADT regime for  
 25           your patients? 14:43
- 26          A.    ADT, as in the wider umbrella of -- yes.
- 27 195 Q.     And I think you've explained that your regime of choice  
 28           would be an --
- 29          A.    LHRH.

- 1 196 Q. -- the injections. The Inquiry has observed from  
2 evidence presented by The Trust that Mr. O'Brien's  
3 patients were, on numbers of occasions, maintained on  
4 a 50 mg regime, sometimes for periods of years. And  
5 you've told us already that's not something you 14:44  
6 particularly recognised.
- 7 A. Or do.
- 8 197 Q. Or do. I suppose, just to be direct about it, was it  
9 something you recognised in the practice of  
10 Mr. O'Brien? 14:44
- 11 A. No.
- 12 198 Q. We have received evidence that, for example,  
13 Mr. Glackin has told us that the issue of 50 mgs as  
14 a dose was briefly mentioned at an MDT meeting where  
15 colleagues said to Mr. O'Brien, 'I wouldn't do that' or 14:45  
16 'we wouldn't do that', a brief interaction, not  
17 minuted. Mr. Suresh has recalled that the issue was  
18 discussed at an MDM, the consensus was that treatment  
19 long-term with low dose Bicalutamide was  
20 unconventional, and Mr. O'Brien agreed to review the 14:45  
21 patient. Not memories shared by Mr. O'Brien, I would  
22 underline, and not memories shared by you?
- 23 A. No.
- 24 199 Q. Very well. Getting back to the final limb, I suppose,  
25 of Mr. O'Brien's criticism, and that is where he says 14:45  
26 that the record that we have in front of us is  
27 truncated. The criticism there is that no account is  
28 taken of the patient's stated intolerance to the  
29 Bicalutamide regime in the decision that is issued or

1 in the recommendation that is issued. There was  
 2 a need, Mr. O'Brien will say, to consider this issue in  
 3 the context of the ADT recommendation that issued. The  
 4 MDT, knowing that it was Mr. O'Brien's intention to  
 5 start on 50 mgs of Bicalutamide the next day? 14:47

6 A. The intention of the MDT was never that he was going to  
 7 be given Bicalutamide, so it wasn't something that was  
 8 considered. Two is, seven lines above that, quite  
 9 clearly it's written "medication was accompanied by  
 10 intolerable adverse toxicity". So its already written 14:47  
 11 in the narrative. But, as I said, the intention was  
 12 that the patient wasn't going to be given Bicalutamide,  
 13 it was going to be an LHRH analogue.

14 200 Q. Just to be clear, this is the decision or the  
 15 recommendation -- 14:47

16 A. Yes.

17 201 Q. -- of the MDT?

18 A. Yes.

19 202 Q. The MDT was explicitly clear that it was not  
 20 a Bicalutamide regime going forward, it was LHRH-A? 14:48

21 A. Yes.

22 203 Q. And that removed from the consideration or the concern  
 23 any element of toxicity?

24 A. Yes, because he wasn't going to be getting it. And, as  
 25 I said, Mr. O'Brien was at the meeting as well. 14:48

26 204 Q. It is said in this case that the preference for  
 27 Bicalutamide arose out of a coronary history for this  
 28 patient. Was that discussed at the MDT, to the best of  
 29 your recollection?

1           A.    It wasn't.  But I think you have to risk/benefit and  
 2                    this gentleman had a nasty prostate cancer and so it  
 3                    was felt that an LHRH analogue was more appropriate.  
 4                    But there is a slightly increased risk of coronary  
 5                    events in patients who do have LHRH analogues.

14:49

6   205   Q.    Now, as it happens, and we'll use this case for this  
 7                    further vehicle, or use it as a vehicle for this  
 8                    further issue.  As it happened, Mr. O'Brien, after  
 9                    consulting with the patient tells us that, for various  
 10                   reasons, he felt it necessary to start the patient on  
 11                   50 mgs of Bicalutamide by, I think, the end of January.  
 12                   He had increased the dose to 100 but hadn't yet  
 13                   referred to radiology for the purposes of fulfilling  
 14                   the recommendation around ERBT, but that was being held  
 15                   in consideration.  In other words, he hadn't found it  
 16                   possible, because of patient considerations, to  
 17                   implement the recommendation of the MDT.  He didn't  
 18                   return to the MDT.  The patient's case doesn't ever  
 19                   come back to the MDT.

14:49

14:50

20  
 21                    Is there a practice in the Southern Trust with this  
 22                    uro-oncology MDT which would, if not require, but  
 23                    perhaps indicate that where you cannot implement the  
 24                    recommendation you should bring it back for further  
 25                    consideration?

14:51

14:51

26           A.    Absolutely.  Mr. O'Brien should have done that.  I have  
 27                    brought patients back where I might have disagreed with  
 28                    the outcome or the patient wants something totally  
 29                    different.  So it should go back to the MDT, and





1 would record?

2 A. Of course. You know, I mean, it's a holistic approach.  
 3 Or if I see the patient and there's a recommendation  
 4 for treatment and then I see the patient and they're  
 5 very unwell and not fit for active treatment, I would 14:53  
 6 bring that back and say can we change it to a watch and  
 7 wait approach, which is where we just keep an eye on  
 8 the patient. But I do it in a controlled fashion, I do  
 9 it with the blessing of the MDT.

10 209 Q. Yes. In terms of where the recommendation is for 14:53  
 11 a referral for radiotherapy in this instance and the  
 12 patient is content with that, is that something that  
 13 you delay until you get a satisfactory response from  
 14 the ADT regime, or does the referral take place if the  
 15 patient is content with it? Does the referral take 14:54  
 16 place fairly seamlessly, fairly quickly after the  
 17 meeting with the patient?

18 A. It is a bit senseless waiting for a PSA response. If  
 19 you are going to refer the patient for radiotherapy  
 20 I would do it immediately, the next time I meet the 14:54  
 21 patient I will refer them on. Whether the PSA responds  
 22 or doesn't respond, you're going to refer them to  
 23 radiotherapy, you're going to involve the  
 24 multi-disciplinary team. Things can be modified at a  
 25 later date but holding on to them, waiting for 14:55  
 26 a response is a bit pointless, and it's not good  
 27 practice.

28 210 Q. Again going back to Patient 1, obviously the early  
 29 months of 2020, we're into the pandemic. The patient

1 runs into greater difficulty in March of that month.  
 2 It's observed at the emergency department that he's in  
 3 retention, there's a need to catheterise him. The  
 4 regime, in terms of the referral to radiotherapy,  
 5 hasn't taken place. With there being information of 14:55  
 6 disease progression or at least the basis for  
 7 a suspicion, given the retention and the need for  
 8 a catheter that there may be a complication or  
 9 a progression here, is that a point in time where  
 10 a case should go back to the MDT? 14:56

11 A. Yes, it should, because it may need to be restated, in  
 12 other words it may need to be reimaged to see has the  
 13 disease progressed. We saw that this gentleman had  
 14 a Gleason five plus five. He had a very nasty,  
 15 aggressive prostate cancer. So, yes, it should have 14:56  
 16 gone back to the MDT. Particularly when the initial  
 17 recommendations hadn't been followed.

18 211 Q. Just going back to the issue of accuracy of MDT  
 19 outcomes, is that something you, as the Chair, would  
 20 check at the end of the meeting or the day after, after 14:57  
 21 things are written up, or is it unnecessary to check  
 22 for accuracy in light of the description you've given  
 23 of the process at the meeting itself?

24 A. No. The outcomes are emailed back to us, either that  
 25 evening or within a few days of the meeting where 14:57  
 26 we check over it. We make any corrections that are  
 27 necessary, then it's distributed to everybody else. So  
 28 it comes back first to the chairman to correct.

29 212 Q. Okay, so let me just drill into that a little. So who

1 types it up? Is that the --

2 A. The person coordinating the meeting.

3 213 Q. Yes. So it comes back to you to run your eye over?

4 A. Yes.

5 214 Q. And then this patient's outcome would be emailed to 14:57  
6 who?

7 A. The outcome is emailed to everybody who needs it, so  
8 all the urologists, oncologists.

9 215 Q. If it is Mr. O'Brien's patient, he would see it?

10 A. He would see it, yes. You know, if you disagree with 14:58  
11 an outcome, you could bring it back and have it  
12 rediscussed.

13 216 Q. You record in your statement that in October 2019 you  
14 raised an incident report in respect of Mr. O'Brien and  
15 his attention to a particular patient. If I can just 14:58  
16 bring up your witness statement in that respect. It's  
17 at WIT-50543. You say:

18  
19 "The only issue I raised was an SAI from the uro-  
20 oncology meeting in 2019. I submitted an IR1 on 14:59  
21 3rd October 2019 when I was chairing the uro-oncology  
22 MDM. This was in relation to a patient of Mr. O'Brien  
23 who had not been referred for a kidney biopsy as per  
24 MDM advice on 27th June 2019. He was seen in clinic  
25 the following week and arrangements were made for him 14:59  
26 to have surgery in the next few months. He had  
27 a nephrectomy in early January 2020. His latest review  
28 in relation to this was in early 2022, and he has  
29 suffered no consequences as a result of the delay up to

1 now. The investigation with regard to the  
 2 circumstances of the delay is ongoing."

3  
 4 I wonder, Mr. O'Donoghue, are you unsighted on aspects  
 5 of the developments in this case? You seem to be 15:00  
 6 laboring under the misapprehension, perhaps, that this  
 7 patient received a biopsy, albeit that it was delayed.  
 8 It would appear that on other accounts before the  
 9 Inquiry that a biopsy was contraindicated in  
 10 circumstances where the patient was the subject of 15:01  
 11 a chemotherapy regime in association with other  
 12 disease. Were you aware of that?

13 A. I wasn't. We had discussed it at the meeting so maybe  
 14 we weren't aware of that. As far as I remember this  
 15 was brought back by someone because the patient hadn't 15:01  
 16 had the biopsy, and that's why it came before the MDM  
 17 again.

18 217 Q. Yes, let me just --

19 A. But I don't know the further details you have been  
 20 describing. 15:01

21 218 Q. Let me work through it and we can have your comments on  
 22 it. The IR1 which you filed can be found at WIT-50555.  
 23 I should say this concerns Patient 112. You record  
 24 essentially what I have already rehearsed, that this  
 25 patient was discussed at the uro-oncology MDM on 15:02  
 26 3rd October 2019. It would appear outcomes from the  
 27 previous uro-oncology MDM have not been actioned. So  
 28 you're writing that some two months -- sorry, three  
 29 months after the MDM recommendation of late June 2019

1 because, assumedly, you have not seen and your  
 2 colleagues have not seen any action in association with  
 3 the recommendation that it issued in June?

4 A. Yes.

5 219 Q. If we go then to a chronology that was formulated for 15:03  
 6 the purposes of the Trust deciding or trying to decide  
 7 whether this case should go to a Serious Adverse  
 8 Incident Review, the chronology can be found at  
 9 TRU-258993. I was hoping it was a chronology. Just  
 10 scrolling down. So the MDM action is contained in the 15:04  
 11 first entry. It was recommended that Mr. O'Brien would  
 12 see and advise the patient --

13 CHAIR: Sorry, Mr. wolfe, if I might interrupt, is this  
 14 a case of two pages, if we put them side by side  
 15 we might get the chronology. 15:04

16 MR. WOLFE KC: I know that in preparation I was able to  
 17 have them on screen side by side. We haven't been able  
 18 to mend it. So if people disagree with anything I say  
 19 or think it is inaccurate, I'm a bit handicapped  
 20 from -- 15:05

21 CHAIR: It just looks as though the table has been  
 22 spread over two pages. I wondered if we put two pages  
 23 side by side, it might read across.

24 MR. WOLFE KC: I'm not sure we can do it today. We  
 25 have been trying to speak to one of our colleagues to 15:05  
 26 prepare this.

27 CHAIR: Can we not do it through this system?

28 220 Q. MR. WOLFE KC: It may not work. I think the key issue  
 29 I wish to address with Mr. O'Donoghue is to be found --

1 if we can bring up TRU-258996. This, perhaps, brings  
2 clarification to how things developed in that month  
3 of October.

4  
5 You will recall that you filed the Datix on 3rd 15:06  
6 October. Here you have the second entry from the top,  
7 an update is being provided from Mr. Haynes and it is  
8 being provided following the Datix, in other words  
9 after the Datix has been entered. And Mr. Haynes is  
10 saying: 15:07

11  
12 "Mr. O'Brien has responded to me with an update  
13 regarding this patient. In summary, the patient is  
14 mid- chemo and not able to proceed to management of his  
15 renal mass. He also had an up to date CT. Aidan has 15:07  
16 listed him for MDM discussion next week. I have  
17 planned to see the patient next week and his renal  
18 management will be organised once he has completed and  
19 recovered from his lymphoma chemotherapy."

20 15:07  
21 So the problem here it would appear, Mr. O'Donoghue, is  
22 that you appeared to have filed the Datix not knowing  
23 that the biopsy had been ruled out or contraindicated  
24 because of the nature of the other treatment required  
25 by this patient because of a lymphoma disease. 15:08

26  
27 At the point of completing the Datix, had you been told  
28 by Mr. O'Brien that the biopsy not only was no longer  
29 required but would be harmful for the patient to





1 "The potential complications of infection, haematoma,  
 2 spread during immunosuppression or even the loss of the  
 3 kidney outweighed any benefit in knowing the  
 4 histology. "

15:11

6 He goes on to say that a letter describing this plan  
 7 was not generated until October 2019. In other words,  
 8 Mr. O'Brien had delayed in his communication around  
 9 this and this caused unnecessary concern and work for  
 10 Mr. O'Brien's colleagues. So that appears to be --  
 11 there's probably other strands to the picture but  
 12 that's the thrust of it.

15:12

13  
 14 Perhaps it points out, in light of what you said and  
 15 the beliefs you had formed about it in your statement,  
 16 that although you were the originator of the concern,  
 17 you seem to be indicating that nobody in the Trust came  
 18 back to you to inform you of why your concern, as set  
 19 out in the IR1 was somewhat unfounded?

15:12

20 A. Absolutely. I mean the decision to defer biopsy is  
 21 very reasonable in light of what's going on with this  
 22 gentleman's chemotherapy but, yes, as I said the first  
 23 time I've seen all this information is just now.  
 24 I suppose, as it says there, a letter wasn't generated  
 25 until October 2019. If there was a letter summarising  
 26 what was going on, that certainly would have been  
 27 helpful.

15:13

15:13

28 224 Q. Do you consider that it was any of your responsibility  
 29 as MDT Chair for that matter to have pursued directly

1 Mr. O'Brien to obtain an explanation from him before  
 2 filing an IR1?

3 A. I suppose it would have given more information.  
 4 I probably felt at the time that I had got it on NIECR  
 5 but obviously if I got it from Mr. O'Brien it would 15:14  
 6 have clarified the matters clearly for me, yes.

7 225 Q. Let me move to the issue of safety nets. The SAI  
 8 reviews that were conducted in 2020, looking at the  
 9 cases in the round reported that not only was there  
 10 a prolonged treatment pathway in a number of cases, but 15:15  
 11 there was no mechanism to check or track that actions  
 12 were implemented. We saw that just earlier with  
 13 Patient 1's case.

14 A. Yes.

15 226 Q. The findings were also that the MDT was underresourced 15:15  
 16 for appropriate patient pathway tracking. Is that  
 17 a criticism or a concern that you would have been aware  
 18 of in live time before these SAIs reported?

19 A. In relation to Mr. O'Brien or just in general?

20 227 Q. More generally in terms of the governance of the MDT 15:16  
 21 within which you worked. You can perhaps think about  
 22 it in terms of you have a recommendation to implement  
 23 with the consent of your patient. Was anybody or any  
 24 aspect of this system going to be looking over your  
 25 shoulder to ensure it was done? 15:16

26 A. Well, I thought that the cancer tracker was probably  
 27 keeping an eye on it. I probably had a secretary who  
 28 was good as well. So if I hadn't done a letter, she  
 29 will also have the outcome, said have you done a letter

1 to oncology so she would have been looking.  
 2 I certainly received emails from the cancer tracker as  
 3 well about sort of booking scans and things. But  
 4 I don't know how much they actually did. But  
 5 I certainly had people making sure that I was achieving 15:17  
 6 what I was meant to do with from the multidisciplinary  
 7 meeting.

8 228 Q. You make a point in your statement, if I just bring it  
 9 up, WIT-50539, at 41.1. You say:

10  
 11 "Cancer trackers ensure that patients with cancer pass  
 12 through the uro-oncology MDM in a timely manner.  
 13 Issues with MDM patients are often only picked up when  
 14 patients are discussed again at the MDM and this can be  
 15 several months down the line from the original 15:17  
 16 discussion."

17  
 18 Is that pointing -- is that just pointing to the  
 19 natural flow of activity in the MDM or is it  
 20 highlighting a concern on your part that there can be 15:18  
 21 delay in getting to grips with problems in patients'  
 22 cases because of how the meeting is set up and  
 23 supported?

24 A. Well, I suppose, one, I felt the cancer trackers were  
 25 making sure things happened. That was my 15:18  
 26 understanding. In the last sentence what I was  
 27 implying was that if there was a change from the plan  
 28 and if the cancer tracker hadn't picked that up, it  
 29 wouldn't have been picked up until it had been



1 patients are being referred and their treatments done  
 2 in a timely fashion. I think this is a lot more  
 3 auditing going on, that things are happening.

4 231 Q. How is that visible to you? So you get your three or  
 5 four outcomes for your patients on the Friday afternoon 15:21  
 6 after the MDT the previous day or whatever day it is.  
 7 How do you feel the presence, if you like, of the  
 8 system or the person whose responsibility it is?

9 A. You'll get -- I do the referrals as soon as I see them,  
 10 but you would certainly get an e-mail from this chap, 15:22  
 11 I can't remember his title, saying, 'have you organised  
 12 this MRI, have you done that'? So he would certainly  
 13 check. And I think the cancer tracker would be  
 14 checking more closely now as well, as well as my  
 15 secretary, as I keep saying, she checks as well. She 15:22  
 16 gets a separate list of the patients of mine and she  
 17 makes sure she checks them off as I do whatever I'm  
 18 meant to do.

19 232 Q. Yes. Is there anything about the current working  
 20 practices of the MDM that you would change or improve 15:22  
 21 if it was within your gift to do that? Particularly in  
 22 the area of Patient Safety and the governance of the  
 23 actions that are part of the everyday life of the MDT?

24 A. Well, it certainly runs much better now. I certainly  
 25 welcome people looking on, making sure that -- the 15:23  
 26 cancer tracker is ensuring that the patients are going  
 27 through the system effectively. I think our Clinical  
 28 Nurse Specialists also are actively involved with the  
 29 patients and they're also another failsafe mechanism,

1 and they are ensuring that patients are going through  
 2 the pathway effectively. So there's lots of people  
 3 that take part. I think, certainly, the nurse  
 4 specialists, because they are the key worker for the  
 5 patient and they make sure the patient goes through the 15:24  
 6 system as well.

7 233 Q. Could you help us understand how you work with the  
 8 Cancer Nurse Specialists. The MDT looks at a patient's  
 9 case, makes a recommendation. You are -- let's deal  
 10 with the prostate cancer -- you are to see the 15:24  
 11 patiently within the next week or fortnight to discuss  
 12 the MDT recommendation. The recommendation is for ADT  
 13 and referral. Where does the nurse come into it and  
 14 how? Procedurally or practically how?

15 A. So the nurse is always in the room when I'm seeing the 15:24  
 16 patient --

17 234 Q. How does the nurse get there, how does the nurse get to  
 18 know that you want her there this with patient?

19 A. Well the Cancer Nurse Specialists know when I'm seeing  
 20 cancer patients I always have a nurse. So whatever 15:25  
 21 nurse is assigned to my clinic, Clinical Nurse  
 22 Specialist, comes into my clinic from the start because  
 23 they know I have a nurse all the time. I don't call  
 24 them in selectively. If I'm seeing cancer patients  
 25 they're automatically in there, I don't have to ask any 15:25  
 26 more.

27 235 Q. So the nurses will know that this clinic on this day is  
 28 your cancer --

29 A. They don't have to be invited. They know that they're

1 going to be there.

2 236 Q. You've given the answer, necessarily, in terms of  
3 today. Has it always been like that? What was the  
4 position in 2019/2020, several years ago?

5 A. I can't see any difference in my particular practice. 15:26  
6 Again, I didn't have to invite the nurses in, they were  
7 involved from the start. You know, I always had  
8 a nurse there so I don't see any difference from that  
9 point of view.

10 237 Q. What additionality or what point of difference in terms 15:26  
11 of the services being provided to the patient does the  
12 specialist nurse offer in your opinion, which is to  
13 contrast with your role?

14 A. One is a point of contact. Very often patients can  
15 talk to nurses much more easily. They may not want to 15:26  
16 talk to the doctor. So she takes them out of the room,  
17 talks to them. She gives them a card and they can ring  
18 her up with any issues. She signposts them to various  
19 agencies that may provide support, either financial or  
20 otherwise. She gives them literature and details on 15:27  
21 their cancer and the various treatments they're going  
22 to have. She makes sure that they go through the  
23 system. I think it's a presence. I think a patient --  
24 maybe I'm wrong -- I think a patient feels they can  
25 probably talk to a nurse about nonmedical things more 15:27  
26 easily.

27 238 Q. The SAIs reported that in nine out of the nine cases  
28 that they looked at, the Cancer Nurse specialist wasn't  
29 assigned, wasn't allocated, had no role with these

1 patients. These were 2019, 2020, cases came from that  
 2 time. To the best of your understanding was there any  
 3 resourcing issue that would have prevented the  
 4 allocation of nurses or the assignment of nurses to  
 5 these patients? The Inquiry understands that over time 15:28  
 6 the nursing resource has improved.

7 A. Well, I think on occasion if there wasn't a nurse  
 8 available for some reason I would have copied the  
 9 nurses into the letter and they would have contacted  
 10 the patient the following day or when they were back. 15:28  
 11 So there have been a few occasions, for some reason  
 12 they weren't there, but they would have contacted the  
 13 patient afterwards and I would have done that  
 14 automatically. So the patients would always have had  
 15 a nurse involved. 15:28

16 239 Q. Thank you. Just finally, I want to ask you about your  
 17 understanding of the circumstances of Mr. O'Brien's  
 18 retirement. Were you aware that Mr. O'Brien intended  
 19 to retire from his consultancy and hoped to return to  
 20 The Trust in a part-time capacity? 15:29

21 A. That was my understanding and that's what he said to  
 22 me. I think he had given me the impression that he was  
 23 going to retire, stay off whatever length of time, then  
 24 come back in a part-time basis.

25 240 Q. Yes. So that was something you discussed with him? 15:29

26 A. Yes. I think he had mentioned it to me in a social  
 27 sort of --

28 241 Q. We discussed earlier your concern about his practices  
 29 at the revelations of 2017 and all of that, you went



1 from a position of confidence in him to something of  
 2 a situation where you were less confident in him or  
 3 less trusting of his approach. When you spoke to  
 4 Mr. O'Brien and he told you about that, were you -- did  
 5 you form any view in terms of whether it was a good 15:30  
 6 idea that he should come back?

7 A. I didn't really, no. I took it at face value.  
 8 I didn't know a lot of these things when we spoke.  
 9 I obviously had known about the triage, there hadn't  
 10 been triage, so I'd known about those. I don't think 15:30  
 11 I knew a lot about the SAIs. No, I hadn't formed --  
 12 I probably hadn't thought about it too much.

13 242 Q. So when he told you he would be coming back or hoped to  
 14 be coming back, that --

15 A. I took it at face value. 15:30

16 243 Q. You didn't say that wasn't a good idea?

17 A. It didn't cross my mind as far as I remember, no.

18 244 Q. Mr. Haynes gave evidence to say that he spoke to  
 19 consultant colleagues, other colleagues in The Trust  
 20 about the idea that Mr. O'Brien would return or could 15:31  
 21 return or that was the request. Did he speak to you?

22 A. I think he did. And that probably might have been some  
 23 time after when Mr. O'Brien had said to me that he was  
 24 going to come back.

25 245 Q. What was Mr. Haynes' purpose in speaking to you? 15:31

26 A. I'm trying to remember. I think he might have asked me  
 27 what did I think about him coming back, I think.  
 28 I think at that point I might have formed an opinion  
 29 because I'm -- I probably wasn't as enthusiastic as



1 250 Q. My question is what did you say to him as opposed to  
2 what did he say to you?

3 A. I must have said to him that I probably thought it  
4 wasn't a good idea he came back. I assume I said  
5 something along those lines, but I'm sort of -- but 15:34  
6 I can't remember the details, to be perfectly honest.

7 251 Q. Do you hold a memory of your view on the issue being  
8 shared or being communicated to you -- sorry, I'll put  
9 this in a different way.

10  
11 You seem to be indicating that you had a view -- that  
12 you formed a view he shouldn't come back. Was  
13 Mr. Haynes communicating a similar view back to you?

14 A. I think he was but I might do him a disservice if I'm  
15 saying strongly that he said yes, so I'm not too sure. 15:34

16 252 Q. Yes. In terms of your other colleagues, Mr. Glackin,  
17 Mr. Young, did you speak to them about whether he  
18 should be coming back?

19 A. I'm not definite. Because his coming back wasn't  
20 something that I was actively pursuing or canvassing or 15:35  
21 finding out. I don't know whether I had or not.

22 MR. WOLFE KC: Thank you very much.

23 CHAIR: Ladies and gentlemen, we're going to continue  
24 on rather than take a break if that's fine with you.  
25 If anybody needs to take a comfort break, please do so 15:35  
26 but I think we're all anxious to get today over with.  
27 And I'm sure Mr. O'Donoghue is but before you can go  
28 anywhere, some questions from us and Mr. Hanbury first  
29 of all.

1 MR. O'DONOGHUE QUESTIONED BY THE INQUIRY PANEL AS  
2 FOLLOWS:

3  
4 253 Q. MR. HANBURY: I just have a few urological questions. 15:35  
5 Just start off on waiting lists and particularly the  
6 changing of double J stents, it's something that every  
7 department struggles with. We were involved in this in  
8 the Inquiry, especially with Patient 16. You worked in  
9 England in various places and, obviously, in Northern  
10 Ireland. Everywhere has its different waiting list 15:36  
11 methods of doing it. I was aware that you and  
12 colleagues were sent big Excel spreadsheets full of  
13 800 cases and upwards. How did you cope with this  
14 workload, in particular the routine changes which often  
15 are a sort of Cinderella type of case. Did you have 15:36  
16 help there or was that all on your shoulders?

17 A. I think things have changed now but in those days  
18 we had all our own patients and so we sort of took  
19 responsibility for them whereas now it's a pooled list.  
20 But certainly I felt pressurised because there were 15:36  
21 a lot of patients with stents in, to try to get them  
22 done in a timely fashion. So I tried to go through  
23 them chronologically or when they were due to be  
24 changed, so six months, nine months, whatever.

25 254 Q. That would fall on your shoulders rather than the 15:37  
26 schedulers, certainly in the early days?

27 A. Yes, also I had used the BAUS. The BAUS had  
28 a database, which they have got rid of now, but they  
29 had a database where you could record patients with

1 stents and you got emails back from it. It was quite  
 2 a cumbersome system, it was quite slow, but I certainly  
 3 tried using that for quite a while, probably a year or  
 4 so. But I dictated letters for every patient with the  
 5 dates the stents went in so there was as much  
 6 information available as possible, ensuring that the  
 7 booking forms were done. But I think a lot of it was  
 8 still on our shoulders individually to change our own  
 9 stents, so to speak.

15:37

10 255 Q. You mentioned BAUS there, the British Association of  
 11 Urological Surgeons. I was interested in the last  
 12 couple of days when Mr. Young was giving evidence, he  
 13 picked up that Mr. O'Brien, around that time, I think  
 14 it was around 2013, wasn't a member of BAUS. Would  
 15 that surprise you or...

15:38

16 A. I don't think he was a member up until he retired, but  
 17 I might be corrected. But I don't think he was,  
 18 whereas the rest of us were members of BAUS. So, yes,  
 19 I thought it was a bit strange that he wasn't a member  
 20 of our parent organisation, yes.

15:38

21 256 Q. What do you think he missed out on in not being?

22 A. Well, I suppose he could still have gone to the annual  
 23 meeting. I mean, what he missed out on, day to day it  
 24 probably doesn't make any difference but at the same  
 25 time, I think psychologically you feel part of a larger  
 26 group of urologists and it is our professional  
 27 organisation. So I would have thought everybody should  
 28 be a member of a professional organisation. But day to  
 29 day running of your practice, I don't think it makes

15:38

15:39

1 any difference. Although you do get information on  
 2 various courses relevant to your practice, which is  
 3 important.

4 257 Q. So education?

5 A. So education which is important. Although actively you 15:39  
 6 can find those out, whether you are a member or not.

7 258 Q. National audits?

8 A. Yes, those kind of things, certainly. And, similarly,  
 9 EAU. I don't think he was a member of that either. He  
 10 certainly was a member of the Irish Society of Urology. 15:39

11 259 Q. Certainly when he was chairing NICaN, a lot of that was  
 12 based on UK and European guidance?

13 A. Yes.

14 260 Q. We have heard a lot about TURP and saline TURP, maybe 15:40  
 15 things have moved on but I was struck that there was,  
 16 certainly up to a couple of years ago, no Northern  
 17 Irish urologists interested in laser TUR and other  
 18 minimally invasive techniques for the bigger prostates;  
 19 what is your comment there?

20 A. We certainly do green light. We are trying to get 15:40  
 21 HOLEP up and running, myself and Mr. Glackin. I have  
 22 done a course previously, but both of us are interested  
 23 in getting it up and running and that is certainly a  
 24 plan for the future, to do HOLEP, possibly in  
 25 Daisy Hill. 15:40

26 261 Q. We heard about the new day case innovations and  
 27 overnight stays.

28

29 A couple of things on Urologist of the week. When it

1 was set it up, there didn't seem to be prospective  
 2 cover, it seemed to be you took your turn in a one in  
 3 seven, although there weren't seven people, which  
 4 slightly confused me?

5 A. Yes so one of those weeks was a locum week and because 15:41  
 6 there wasn't, so we covered it. It's a bit like now,  
 7 that we have two weeks to cover because we don't have  
 8 -- although we're getting some new consultants starting  
 9 in December and January. So there are two weeks on the  
 10 rota which were covered as locum cover. 15:41

11 262 Q. And you usually got that, because otherwise that would  
 12 affect your scheduling?

13 A. It could affect us, the scheduling. We sort of  
 14 distributed it among us so it wasn't a whole week or it  
 15 isn't the a whole week. 15:41

16 263 Q. You mentioned triaging until 9 or 10 o'clock at night,  
 17 and obviously they were very full weeks. Did you think  
 18 of just doing office hours, so to speak, not that  
 19 surgeons ever respect those, and not doing the nights  
 20 on call or any other manoeuvres to make the Urologist 15:42  
 21 of the week a little less onerous?

22 A. No, because if I complete the triaging, I probably felt  
 23 a bit elated and I could start a new day by starting  
 24 again. So I was much happier sort of clearing  
 25 everything and then going home, rather than having 15:42  
 26 something waiting for me the next day.

27 264 Q. That suited your colleagues in general?

28 A. Suited as in -- but I was on call. It didn't affect  
 29 them, it only affected me, really. The on call is day

- 1 and night, so whether I'm there at 9 or 10, it doesn't  
2 affect them in any way.
- 3 265 Q. Right. We're aware, looking at one particular case, of  
4 a patient who came in with a bleeding kidney tumour on  
5 a Thursday and -- this wasn't your week -- 15:42
- 6 A. No.
- 7 266 Q. -- that there didn't seem to be much consultant  
8 presence over the weekend. What's your comment there.  
9 Did it usually work well? The consultants would  
10 normally go in to either do a full round or see at 15:43  
11 least the unwell patients at the weekend? What is your  
12 experience?
- 13 A. Well I can only speak for myself. So I went in on  
14 Saturday, spent all day on Saturday. On Sundays, if  
15 I had a locum, I would go in or if there were ill 15:43  
16 patients. If I had an experienced registrar and the  
17 patients were unstable, I let him do the ward round on  
18 Sundays and I came in if the patients needed to go to  
19 theatre.
- 20 267 Q. Would you be surprised if there was a fairly sick 15:43  
21 person who had not been seen by someone senior?
- 22 A. If I knew there was somebody sick, I would certainly be  
23 in. I wouldn't leave it to a registrar.
- 24 268 Q. Okay. Thank you. Just one more thing about pre-op  
25 assessment. We spoke about Patients 90 and 91, and 15:43  
26 obviously things do slip through with pre-op  
27 assessments, but there's another hurdle that should be  
28 gone through, the World Health Organisation checklist  
29 before things finally click into action. Did you look



- 1 at that in terms of PATIENT SAFETY and say how did  
2 these two get through and perhaps think about that?
- 3 A. Absolutely. I mean the WHO happens automatically.  
4 I've never done an operation in the last few years  
5 without the WHO happening. But the WHO is a more sort 15:44  
6 of correct side, has the patient been given  
7 antibiotics, is the site marked. Any concerns,  
8 I suppose, yes, about the patient. But I think if you  
9 get on the table and if your comorbidities haven't been  
10 set out before, I think the WHO is not going to stop 15:45  
11 that, I think.
- 12 269 Q. A shame, though. Maybe a missed opportunity?
- 13 A. Maybe I am wrong because the anaesthetist will have  
14 seen the patient already on the ward, so if they get  
15 past the anaesthetist and get to the operating theatre, 15:45  
16 they've already got over the hurdles.
- 17 270 Q. Just it wasn't really mentioned in the SAI reports.
- 18 A. Yes.
- 19 271 Q. One last very quick one. Mr. Wolfe has mentioned,  
20 I think, Dr. Gray, a Belfast -- 15:45  
21 A. Yes, he is a radiologist.
- 22 272 Q. You saw the email there. Something that wasn't read  
23 out was "debacl e of the small renal masses". I wasn't  
24 quite sure what that meant. Was that a reference to  
25 radiology or the process of looking after that group of 15:45  
26 patients which, in Patient 7, I wondered whether that  
27 was a reference to the process of looking at that group  
28 of patients or was that a reference to the radiology  
29 particularly?

1 A. I'm not too sure what he meant by that. I assume it  
 2 was the radiology. I don't know what debacle he meant,  
 3 but I assume it was the radiology side of things, but  
 4 I can't direct you to any --

5 273 Q. It is a fairly strong term though. 15:46

6 A. Yes, it does sound -- calling it a debacle, it doesn't  
 7 sound.

8 MR. HANBURY: I think I'll stop there.

9 CHAIR: Dr. Swart.

10 274 Q. DR. SWART: we heard a lot about the waiting list and 15:46  
 11 the pressure of work in Northern Ireland. I think in  
 12 the last session you talked about the use of the  
 13 independent sectors and as offloading patients.

14 We have been quite interested in patients on the  
 15 waiting list coming to harm and how that's looked at or 15:47  
 16 not looked at. I think you mentioned that there was  
 17 a priority group for the independent sector which where  
 18 people are awaiting TURPs with catheters; is that  
 19 right.

20 A. Yes. 15:47

21 275 Q. Who made that decision as to which patient should be  
 22 prioritised, in particular was it a group of  
 23 urologists, did it come through the CMO office, did it  
 24 come through commissioning, where did it come from?

25 A. I don't know where it came from. It wasn't just 15:47  
 26 Craigavon patients, it was Belfast patients as well.  
 27 There was a certain number of patients were sent to  
 28 Dublin to The Mater Hospital for TURPs, but we were  
 29 also sending patients now to the private sector for --

- 1           some urologists are coming from Sheffield and  
2           Manchester who are seeing patients in clinic --
- 3 276 Q.     So it was a directive, was it?
- 4           A.     Yes.
- 5 277 Q.     You weren't asked -- 15:47
- 6           A.     It must be Government, I presume it must be because  
7           it's quite a lot of money.
- 8 278 Q.     But you weren't asked which ones should have priority  
9           on these waiting lists?
- 10          A.     I wasn't anyway, no. 15:48
- 11 279 Q.     As a group of urologists, as far as you are aware?
- 12          A.     I don't know. I wasn't privy to that conversation.
- 13 280 Q.     I'm just trying to get a sense of how the risk priority  
14          is clinically assessed?
- 15          A.     At the same time somebody must have picked them because 15:48  
16          you can't just decide what patients are going. In  
17          saying that, certainly one of our staff grades, she has  
18          left now, she did go through our waiting list of  
19          patients waiting for TURPs, and she did prioritise those  
20          who were suitable to go to the independent sector. She 15:48  
21          certainly looked at those. And there were patients who  
22          went to Dublin, I think.
- 23 281 Q.     A few questions which were really around safety  
24          culture, safety culture, governance culture, whatever  
25          you like. It is quite a complex area and it comes from 15:48  
26          both ends, it comes from the department, it also comes  
27          from the Board, it is the government to some extent.  
28          It is all about how things work rather than what  
29          processes you have.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

Just as a starter on that, there's a lot of evidence that the way you work together as a team, the way you support colleagues, the conversations you have, the openness with which those conversations take place is the softer part of safety culture, which is critical. Without that you can have lots of systems, but people don't necessarily give of their best.

15:49

In terms of the safety culture of your department, I'm struck by the fact that there were quite a lot of serious patient issues in terms of just letters, triage, results, pre-op, even I might say the efficacy of the WHO checklists in terms of I would say these pre-op issues should come in the first phase of that. What is your view as to why some of these issues weren't really discussed openly in the first place and, also why, when there was a significant issue when you were sat down in 2017, in the January, why didn't you all individually speak to Mr. O'Brien and why didn't you talk to each other about the atmosphere in the department and how what needed to change to improve this. What is your feeling about the cause of that?

15:49

15:49

15:50

A. There wasn't a negative attitude in the department. I think we all got on well.

15:50

282 Q. If you got on well, why didn't these things come up?

A. Apart from Mr. O'Brien, perhaps. The rest of us got on well. I think it was probably a difficulty -- I think to use a phrase, and it wasn't something I experienced,

1 but a phrase Mr. Haynes had used, a challenge to  
 2 challenge.

3 283 Q. Do you think it was just that?  
 4 A. It is probably not as simple as that, I suspect. I  
 5 think it is probably a complex situation that has 15:51  
 6 arisen over a long period of time.

7 284 Q. These are really critical issues and it is never just  
 8 one person. One person may be a catalyst for things  
 9 not being totally open, but it's clear that these  
 10 things didn't regularly get discussed in the way that 15:51  
 11 I would expect. I mean, I can't envisage a department  
 12 where you have somebody excluded, coming back to work,  
 13 all these serious issues, and no frank conversations.  
 14 I can't envisage that. So it does indicate there are  
 15 some barriers there. You say the rest of you get on. 15:51  
 16 Do you recognise the fact that building trust among  
 17 everybody is critical for patient safety?

18 A. Absolutely. If you get on, you can speak to people.  
 19 You can -- and you are not afraid to bring -- if you're  
 20 having problems, bring it up. So, no, I think it is 15:51  
 21 very important.

22 285 Q. And you have said a few times you can't just do what  
 23 you like, you can't just do your own thing and yet this  
 24 was tolerated. Now that, I suppose, you would say is  
 25 the challenge to challenge issue. Who, in your view, 15:52  
 26 should be dealing with that? Were you clear, for  
 27 example, on the respective roles of the clinical lead  
 28 and the Clinical Director and people going up the  
 29 hierarchy? Did you have a clear view in your own mind

1 about who should be picking up some of these issues,  
 2 which were evident to various people, even if they  
 3 weren't totally joined up?

4 A. well, I assumed, more than assumed because I can see in  
 5 the evidence that lots of people had been trying for 15:52  
 6 the last 20 something years to get somewhere, not  
 7 successfully in the slightest. whether people should  
 8 have been more forceful in getting things agreed --

9 286 Q. Do you have a view as to where that responsibility  
 10 should sit? 15:53

11 A. I suppose ultimately these things sit with the Medical  
 12 Director and come down. I mean, he's obviously not --  
 13 he or she is the last person in the chain. But...

14 287 Q. Is that right or should there be more interaction? How  
 15 much interaction did you have with people, say, like 15:53  
 16 the Medical Director?

17 A. I have had no interaction with the Medical Director.  
 18 I think, serious issues going on like this, you know,  
 19 would certainly, and the Medical Director would have  
 20 been aware of it. But no, there are several people in 15:53  
 21 the chain before the Medical Director who, from what I  
 22 have read --

23 288 Q. But were you yourself clear on it, I know you have read  
 24 some things now but at the time did you have a clear  
 25 picture in your own mind of who did what? 15:53

26 A. well if I had an issue I would probably have gone to  
 27 Mr. Young first. I would also involve  
 28 Martina Corrigan. That would have been my direct  
 29 contact.

- 1 289 Q. Okay. There's been a lot of favourable comment about  
2 the change in the Patient Safety Meeting and the  
3 improvements that have happened, which is clearly good.  
4 But you said a couple of things today. One of them was  
5 it only gets to the Patient Safety Meeting if something 15:54  
6 goes wrong. And you've also said you weren't sure how  
7 something should get to the Patient Safety Meeting. So  
8 I just want to ask you about whether any efforts had  
9 been made to support the department to look at data and  
10 information in a way that would actually give you a bit 15:54  
11 of a heads up. So, for example, you have a nice little  
12 scorecard about results. That is helpful if  
13 consultants are provided with that. My own experience  
14 is that is usually done on a comparative basis and  
15 consultants are quite competitive so they don't want to 15:55  
16 be in the red, whatever it is, you know. You can do it  
17 with triage, for example, you could do it with pre-op  
18 assessment compliance, you could have done it with the  
19 glycine issue. Have you had any support as  
20 a department in terms of developing those sorts of 15:55  
21 metrics to be automatically collected for you? Time to  
22 stent insertion would be another one?
- 23 A. Yeah, the clinical governance department, the manager  
24 of the clinical -- comes to all our Patient Safety  
25 Meetings, she has been coming for the past year, has 15:55  
26 been guiding us in audit and has been --
- 27 290 Q. This wouldn't necessarily be audit. This would be  
28 automatic data. Has anybody had that conversation is  
29 the question?

- 1 A. No. But it is something I may visit and add it into  
 2 the Patient Safety Meeting. I think it would be  
 3 useful. I will speak to clinical governance about it.
- 4 291 Q. It just helps to build trust?
- 5 A. No, I think it is certainly something I will add in. 15:56
- 6 292 Q. The other aspect of patient safety which has  
 7 increasingly come to the fore is the patient's role in  
 8 understanding about their own treatment and in asking  
 9 questions. Now, you mentioned that you copied letters  
 10 in England and not here because it wasn't done and 15:56  
 11 I know it is not mandated in Northern Ireland. What's  
 12 the barrier? Why are people not keen on it? You  
 13 yourself didn't seem to be that keen.
- 14 A. There's no barrier, really. There's nobody said you  
 15 shouldn't do it. It just wasn't done, but there's no 15:56  
 16 barrier.
- 17 293 Q. Would you agree, it is another check. If you are  
 18 supposed to have a scan and you haven't had it, you'll  
 19 be on the phone, won't you?
- 20 A. Saying that, I copy results to the patient. But yeah, 15:56  
 21 but I do say to patients, you know, I do summarise at  
 22 the end of the consultation, you are having this, this,  
 23 this and this --
- 24 294 Q. I know?
- 25 A. -- but it is not written in a letter and I think 15:57  
 26 certainly perhaps I'll change my practice.
- 27 295 Q. I can remember when it was introduced many years ago  
 28 now and lots of people were resistant. But actually it  
 29 seems to have brought benefits generally?



- 1           A.    I think it is not something that would bother me, it is  
2                    just something I will do.
- 3 296 Q.    The Inquiry must have put an enormous strain on  
4                    everybody in the department, I imagine.  What benefits  
5                    have you seen, if any, so far, and how do you think you 15:57  
6                    personally could use the learning from this Inquiry for  
7                    the benefit of the department going forward?
- 8           A.    Well, I suppose results -- whether it is because of the  
9                    Inquiry or just has evolved over time, I mean they are  
10                   now coming electronically.  We have a little tally of 15:57  
11                   how we're doing.  So that has improved.  You know,  
12                   it's -- we're not dependent on bits of paper.  Even the  
13                   bits of paper we used to get come as PDFs to us now and  
14                   we sign them on line.  That's become more secure rather  
15                   than having bits of paper floating around. 15:58  
16
- 17                   I think, certainly, we've got more Clinical Nurse  
18                   Specialists.  We had eight or nine.  So those numbers  
19                   have gone way up.  So I think things are certainly  
20                   improving. 15:58
- 21 297 Q.    Those are some specific things.  What about, you know,  
22                   your feeling that you maybe slightly more empowered to  
23                   raise things for long-term strategic planning of  
24                   services.  That has been a huge problem for a long time  
25                   in terms of demand and capacity.  This has really come 15:58  
26                   to the forefront.  What opportunities does that bring  
27                   for you as a group of urologists?
- 28           A.    Well, we have a meeting once a month.  We can certainly  
29                   talk about that or if we have any ideas, put it on the

- 1 agenda for discussion.
- 2 298 Q. Do you recognise it is your role to do that? I think  
3 what I've seen a little bit of, people thinking  
4 somebody else is going to do something?
- 5 A. Some people are better at big ideas than others. 15:59
- 6 299 Q. Of course.
- 7 A. And some people are grafters. But I think --
- 8 300 Q. Because actually you have a lot of good things going  
9 on, is my observation.
- 10 A. Absolutely. 15:59
- 11 301 Q. What I am trying to say is how you can use this and  
12 have you thought of it in this way?
- 13 A. There's no inhibition. It's a very encouraging  
14 department. I mean, it has all these issues but as  
15 a department itself, it encourages new ideas and it is 15:59  
16 quite receptive to new ideas. It functions very well.  
17 MDT functions well. It's not an unhappy place to work.
- 18 302 Q. That's good. Do you think you'd like to tell us  
19 anything that you would like to see as a particular  
20 recommendation? 16:00
- 21 A. Well I personally would like to get the HoLEP up and  
22 running, that an operation for -- that's my abiding  
23 concern at the moment, that I want to get up and  
24 running. That's what I really want to do.
- 25 DR. SWART: That's all from me. 16:00
- 26 303 Q. CHAIR: Just one issue that was raised with you first  
27 thing this morning, was you were asked specifically  
28 about patient 205 and the failure to triage to red flag  
29 and you didn't have the notes or records. I just

1 wanted to assure you, if assurance is needed, that the  
 2 Inquiry is really not interested on whether or not that  
 3 was an appropriate -- whether it should have been  
 4 upgraded or not. That's not what the Inquiry is  
 5 concerned about. When we're looking at triage we're 16:01  
 6 looking at the failure to triage rather than mistakes  
 7 being made in triage because it is clear that everyone  
 8 can make mistakes. I just wanted, in case there is any  
 9 misunderstanding about that, to assure you about that?

10 A. No, no, I understood that. 16:01

11 CHAIR: Other than that, just to thank you for coming  
 12 along. I think you're the last of the urologists to be  
 13 heard from. I know you weren't planning to be the last  
 14 one but it turns out that you are. So thank you and  
 15 thank your colleagues for the evidence they have given 16:01  
 16 to us because it has been very important for us to hear  
 17 from you all.

18 A. Thank you.

19 CHAIR: You are free to go. I am not letting everyone  
 20 go just yet because there are a couple of housekeeping 16:01  
 21 matters. Before we do break up for the holiday  
 22 I wanted to say something about the remainder of our  
 23 public hearings.

24

25 The Inquiry team has been working on the post-Christmas 16:01  
 26 timetable which I understand will be shared with the  
 27 solicitors for all core participants by the end of next  
 28 week. You will appreciate that there's a lot of toing  
 29 and froing about that. We hope to finalise it. I say

1 finalise it, you are well aware at this stage that  
2 things change, but we hope to get that out to you in  
3 the very near future.

4  
5 Our hearings will recommence the week of the 8th 16:02  
6 January, we think it is going to be the 9th January,  
7 but that will be confirmed. But you can plan to be  
8 here on 9th January, currently.

9  
10 We considered whether we needed to hear from any 16:02  
11 further patients or family members, and you will recall  
12 that I asked anyone who wished to contact the Inquiry  
13 to do so by 31st October. A few people did do so and  
14 the Inquiry has considered what it is that they have  
15 told us. We have concluded it is not necessary to hear 16:02  
16 any further oral evidence from any more patients or  
17 family members. What we have been told recently  
18 confirms themes that the Inquiry has already identified  
19 from other evidence and will be taken into account when  
20 we make findings relevant to Term C of our Terms of 16:03  
21 Reference.

22  
23 We had hoped that we would be able to conclude our  
24 public hearings before Easter. Unfortunately, it is  
25 looking that that will not be possible and it is 16:03  
26 anticipated that we will have to sit for a short period  
27 post-Easter, after the Easter break. How far post-  
28 Easter will be dependent on nothing unforeseen  
29 happening that might affect our timetable and, as

1 I have said, we have had some hiccups along the way.  
2 Obviously we will react to any such events as we have  
3 done previously.

4  
5 I know you that will all be very anxious to provide the 16:03  
6 Inquiry with written submissions and I want you to know  
7 that the Inquiry will welcome same, provided they are  
8 directed solely to our Terms of Reference. We Have now  
9 heard 76 days of evidence and I do not need what we  
10 have heard repeated in those submissions, but would 16:03  
11 rather welcome reflective views on what has been heard  
12 together with the major points that you wish to make on  
13 behalf of your clients and referencing the evidence,  
14 where appropriate.

15 16:04  
16 I'm sure that each team has been working on those  
17 submissions for some time, but you should know that the  
18 deadline for written submissions will be 31st May.

19  
20 Thereafter, the Inquiry will sit again on a date to be 16:04  
21 confirmed in mid June, when counsel for each core  
22 participant will be given the opportunity, should they  
23 so wish, to deliver a short oral closing submission to  
24 the Inquiry.

25 16:04  
26 I also want to take this opportunity to thank all of  
27 those we have heard from to date. Dr. Swart,  
28 Mr. Hanbury and I appreciate that, for many, appearing  
29 before us has not been an easy experience, but we have

1 found oral evidence to be invaluable in our  
2 consideration of the matters that we have to determine.

3  
4 Finally, I want to wish each of you a happy and  
5 peaceful Christmas. Enjoy the break, and I look  
6 forward to seeing you all again in 2024. Happy  
7 Christmas, everyone.

16:05

8  
9 THE INQUIRY ADJOURNED TO TUESDAY 9TH JANUARY 2024

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29