



Oral Hearing

Day 68 – Tuesday, 7th November 2023

**Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)**

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

I N D E X

W I T N E S S

P A G E

MR. MATTHEW TYSON

EXAMINED BY MS. McMAHON 3

QUESTIONED BY THE PANEL 69

1 THE INQUIRY RESUMED ON TUESDAY, 7TH DAY OF
2 NOVEMBER, 2023 AS FOLLOWS:

3
4 CHAIR: Morning, everyone. Apologies for the delay.
5 It is Tuesday, though, and we tend to have technical
6 difficulties on a Tuesday! So, Ms. McMahon? 10:26

7 MS. McMAHON: Good morning. The witness this morning
8 is Mr. Matthew Tyson and he is going to take the oath.

9
10 MR. MATTHEW TYSON, HAVING BEEN SWORN, WAS EXAMINED BY 10:26
11 MS. McMAHON, AS FOLLOWS:

12
13 1 Q. MS. McMAHON: Mr. Tyson, thank you for coming along to
14 give evidence to the Inquiry. You are a Consultant
15 Urologist at Craigavon at the moment and you have 10:26
16 provided us, helpfully, with a substantive Section 21
17 statement and also an addendum to that statement, and
18 I just want to go to those, first of all, so you can
19 adopt those as your evidence before we move on to the
20 questions I need to ask you today. 10:27

21
22 The first statement is 63 of 2023, and it's found at
23 WIT-42192. And we see your name at the top of that
24 statement. Date of notice is 7th June 2022, and we'll
25 find your signature at WIT-42226. And the date at the 10:27
26 bottom of that, it's signed -- it's typed "Matthew
27 Tyson", dated 12th August 2022, and do you recognise
28 that as your statement?

29 A. Yes.

1 January 2024. But at current times, you are employed
2 as a consultant urologist there.

3
4 So there is some limitations in scope in your evidence,
5 but you have brought some information and it might be 10:29
6 helpful for the Panel to hear that. We have heard
7 a range of information about conditions and procedures
8 and services and I just want to ask you both some
9 specific questions, but also, generally, some issues
10 arising from your experience as a consultant urologist. 10:30
11

12 I wonder if you could start your evidence by giving us
13 a potted history of your training and your background
14 and what you have done and what roles to take you to
15 your current position? 10:30

16 A. Yeah, sure. So I went to medical school in Wales.
17 I did my house jobs in Wales. I went to Australia for
18 a year as an SHO. I returned to do core surgical
19 training in Wales. I did a year of research and
20 education fellow in Birmingham. 10:30
21

22 I then came to Northern Ireland as a urology trainee.
23 I then got appointed as a consultant in February '19.
24 I then went in July '19 to take a fellowship in,
25 mainly, in complex stone management. I returned in 10:30
26 October '21 to re-take up my position as a consultant.

27 6 Q. So your time as a registrar in 2012/2013 and then
28 I think again in '15 and '16, what was the total time
29 you spent as a registrar in urology in Craigavon?

- 1 A. Two years.
- 2 7 Q. Two years. Two separate periods of time?
- 3 A. Two separate periods of time, 2012 to '13, and '15 to
- 4 '16.
- 5 8 Q. Now, in relation to the time as a registrar, you were 10:31
- 6 under the supervision of some of the consultants there,
- 7 Mr. Young and Mr. O'Brien?
- 8 A. In 2012 and '13, it would have been Mr. Young and
- 9 Mr. O'Brien. In 2015, it would have been Mr. Young and
- 10 -- they're all the consultants -- Mr. Glackin, 10:31
- 11 Mr. O'Donoghue, Mr. Haynes, as well as Mr. O'Brien.
- 12 9 Q. So in terms of the learning curve during your time as
- 13 a registrar, was it the case that you were working on
- 14 an ad hoc basis with the consultants, or were you
- 15 actually allocated on a daily basis to different 10:32
- 16 consultants? Just give us a flavour of what that was
- 17 like?
- 18 A. So it varied between the two different times. In '12
- 19 and '13, it would have been a mix between the
- 20 consultants. You've got newly pointed, and Mr. Young 10:32
- 21 and Mr. O'Brien. But myself and the other registrar
- 22 would have been seen as Mr. Young's or Mr. O'Brien's
- 23 registrar for a six-month period each. In the
- 24 subsequent time in 2015, it was much more of a mix of
- 25 going around all the consultants in the department and 10:32
- 26 there were many more at that point.
- 27 10 Q. So due to the increased numbers, there was a greater
- 28 possibility to spend time with other consultants as
- 29 well?

1 A. There was, yes.

2 11 Q. And, as a registrar, were you always working under the
3 supervision of a consultant, or was there autonomy in
4 your own practice at that point?

5 A. So, the majority of the time, you are assigned to a 10:33
6 consultant, either in their clinic or their theatre
7 list. There was autonomy to some degree during
8 on-call, but there was always a consultant on call
9 supervising. And there were times doing flexible
10 cystoscopy lists when you would be the operating 10:33
11 surgeon, so to speak, but there would always be
12 oversight, if required, if you needed to call upon
13 someone.

14 12 Q. And during your time in 2012 and 2015, if I use those 10:33
15 as shorthand for those two separate periods, did you
16 feel as a registrar you were well supported?

17 A. Yes.

18 13 Q. The Inquiry has heard evidence from other witnesses of
19 their different experiences and I just wanted to ask
20 you did you have any concerns during your time as 10:33
21 a registrar around any of the care or issues of patient
22 risk that you might have seen? Anything arise for you?

23 A. The only thing I raised was the staffing issue, and
24 that was the staffing issue upon the ward and also the
25 middle grade rota. In 2012, there were mainly just two 10:34
26 registrars and in a very busy unit. I can't remember
27 how many there were in '15, but it hadn't really
28 increased at all. And then by -- if we look at the
29 period now, there are seven people for a middle grade

1 rota, so you can see that there is a staffing change
2 from then to now.

3
4 And then the nursing issue I also had raised regarding
5 that there were a lot of locum nurses to the wards and, 10:34
6 therefore, the ability to care for urology patients
7 with substantive staff knowing the role and always
8 being there I think was a limiting factor to what could
9 be how you optimise the service. So you always look at
10 how should things be. And so I raised that in a -- I 10:35
11 can't remember which meeting, but I would have raised
12 that at an audit meeting.

13 14 Q. In your statement when you raise or draw attention to
14 some of those concerns around staffing, and I will take
15 the Panel to what you say around some of those issues, 10:35
16 it's within the context of the 2019 period of time when
17 you came back as a consultant. And if we just draw
18 a line at that at the moment and think about when you
19 were a registrar -- because, in many respects, you have
20 a bit of a unique perspective -- you were in and out of 10:35
21 the unit over a ten-year period and it would be
22 interesting to get your view on what you thought had
23 improved or not over the period of time when you came
24 back and had a look and had a different experience at
25 different grade as well. Just when you were 10:35
26 a registrar, did you operate with -- alongside
27 Mr. Young, Mr. Glackin, Mr. O'Brien and the other
28 consultants?

29 A. Yes.

1 15 Q. Did you have any concerns about any of the surgical
2 functions that you saw being carried out or any of the
3 operations?
4 A. No.
5 16 Q. What was your view of the professional standards of the 10:36
6 consultants that you worked with in surgery, with staff
7 -- did you have any experience of any concerns at all?
8 A. No, I had no concerns.
9 17 Q. We will come on to look at an issue around Bicalutamide 10:36
10 50 in a moment and the prescribing of that while you
11 were a registrar, but I want to just now go to your
12 statement and look at some of the issues that you have
13 raised or some of the matters that you address in your
14 statement that may be of relevance.
15 10:36
16 One of them, as you say, was an issue around staffing
17 and, if we go to your statement at WIT-42201 and if you
18 go to paragraph 12.1, I will just read the question to
19 put it in context. And we have asked:
20 10:37
21 "Do you think the Urology Services generally were
22 adequately staffed and properly resourced throughout
23 your tenure? If not, can you please expand, noting the
24 deficiencies as you saw them? Did you ever complain
25 about inadequate staffing? If so, to whom? What did 10:37
26 you say and what, if anything, was done?"
27
28 And in paragraphs 12.1 to 12.4, you say this:
29

1 "I make these observations regarding the time in
2 question for the time 24th February 2019 to 16th July
3 2019 as a urology consultant in the Trust, and times
4 preceding as a urology trainee rotating through the
5 Trust.

10:38

6
7 Urology Services were/are not adequately staffed given
8 the long waiting list to be seen in clinic or receive
9 an operation from a consultant's perspective. The
10 Urology Ward was at times under-staffed from the
11 perspective of skilled urology nurses, or relying on
12 agency nurses, and urology patients were often placed
13 on other non-urology wards, making ward rounds longer.

10:38

14
15 I remember voicing my concerns regarding the above at
16 a Urology team meeting with the urology consultants and
17 urology manager present some time between March 2019
18 and June 2019. I do not recall the answers given, but
19 understood/was informed these concerns were known and
20 management were working on the issues."

10:38

10:38

21
22 Now, as you say, that's an example of something you
23 have raised around nursing staff and the Inquiry and
24 the Panel have heard evidence of the difficulty both
25 recruiting and retaining staff and the reliance on
26 agency staff. Was it your experience at all at any
27 point of any of your varying tenures at Craigavon that
28 the difficulty with reliance on agency nurses or the
29 absence of either qualified -- properly

10:39

1 urology-qualified nurses or nurses generally, did you
 2 think that posed a risk to patient care?

3 A. Inevitably, it does, and it's looking at what is the
 4 ideal situation to be in. If you are a patient, you
 5 want to go to a ward where you have staff who are very 10:39
 6 aware of the protocols in place and management of
 7 patients as regards what goes on in a unit. You want
 8 staff who are trained in a way that they are always
 9 there in a service, and that's why you have staff in
 10 a set job. 10:40

11
 12 So having people who are very good come in from certain
 13 locum agencies -- and a lot of them are very good, but
 14 you have to feel for them at times because it was not
 15 their permanent role and they were turning up to fulfil 10:40
 16 a job in a role, and they had to learn and work out,
 17 "Right, how do things work in this department?".

18
 19 So, if you look at an ideal, the ideal is permanent
 20 staff who are there on a regular basis, who understand 10:40
 21 the roles and responsibilities of that job in order to
 22 fulfil the best requirements for those patients.

23 18 Q. And did you get a sense -- by the sense of your
 24 statement, it seems that it wasn't the first time that
 25 the urology consultants and urology manager had heard 10:40
 26 of this issue; it was something, did you feel, that was
 27 ongoing and trying to be addressed?

28 A. Yes, it was an ongoing issue.

29 19 Q. Was there ever an opportunity to -- for you or any

1 other medic to feed into a risk assessment about the
 2 potential harm that that scenario may have been
 3 causing? So, for example, to actually in some way
 4 provide data that might have fortified the position
 5 that there was a patient risk, rather than it just 10:41
 6 being on an ad hoc basis?

7 A. From a viewpoint of standing back and when you go on to
 8 the ward to see what the situation is like, that's why
 9 I raised those points. Any potential issue that could
 10 occur on a ward, you can fill out a Datix form and you 10:41
 11 can once again raise it through the chain of
 12 management. For the very brief time I was there, there
 13 was no incident for me to raise specifically, but it
 14 was -- it's about noting that there can be an issue and
 15 there could be an issue if things continue in the way 10:41
 16 they were. So that's why it was very important to
 17 raise because it's the foresight to saying "Hang on,
 18 something will happen."

19 20 Q. So rather than wait until it does, "Here are my
 20 concerns"?

21 A. Yeah.

22 21 Q. Were you aware of any other consultant or medic raising
 23 a Datix specifically around staffing? Just in your own
 24 experience, were you aware of that?

25 A. Not that I was aware of, no. 10:42

26 22 Q. I wonder if we could go to your statement at WIT-42205,
 27 paragraphs 24.1 and 24.2? Again, you have mentioned
 28 the staffing issue and I just want to close that point.
 29 So we have asked you about working relationships at

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

Question 24:

"What was your view of the working relationships between nursing and medical staff generally? If you had any concerns, did you speak to anyone and, if so, what was done?".

10:42

And you say:

"There was a good working relationship for the time period I was there. There was recognition that staffing levels could be low at times, as discussed above needing agency nurses, but a determination to do the best for each patient and maximise what we did have.

10:42

10:43

I had no concerns beyond low staffing levels at times, which management were aware of, and beyond raising the issue as stated in answer to Question 12..."

10:43

-- which we have just looked at. In relation to working relationships, did you have any -- I know you said you had no concerns generally, and we will look at the issue around the CNS nurse and the use of the CNS, but did you have any sense of any fractured relationships that might have impacted on patient care or patient risk at all during any of your times at Craigavon?

10:43

A. Not during the time when I was there. Coming back and

1 reading through all the things that occurred when I was
2 not there, or not privy to, obviously there appears to
3 have been some strained relationships, it would appear.
4 But for the times I was there as a registrar, the unit
5 appeared a very happy and cohesive place. For the four 10:44
6 months I was there as a consultant, I was mainly there
7 at those four months doing complex stone management.
8 So I was mainly involved with Mr. Young and
9 Mr. O'Donoghue and, certainly from that perspective,
10 that part of the team, it was very happy and cohesive, 10:44
11 and I didn't foresee or hear of anything in the wider
12 team at that point.

13 23 Q. And at what point did you hear of the wider issues that
14 are now the subject of the Inquiry?

15 A. Only through and from -- subsequently, from this 10:44
16 Inquiry.

17 24 Q. So from documents you received from the Inquiry and
18 from your own knowledge in relation to what you read,
19 rather than what you knew?

20 A. Yes. Yes. 10:44

21 25 Q. And given that, given the time period that you'd been
22 in urology at Craigavon, what was your view when you
23 became aware of the extent of the issues or the breadth
24 or depth of the issues that seemed to have been ongoing
25 during your time there? 10:45

26 A. I guess the only way to put is obviously "upsetting",
27 in a way, and from what appeared and what is at present
28 a very cohesive team, joining the unit was because the
29 team was very cohesive and supportive, but to then

- 1 read, obviously, there's other potential goings-on is
2 obviously a bit upsetting in that perspective, I would
3 say.
- 4 26 Q. well, if I can take one of the examples that has been
5 well ventilated before the Inquiry, the issue of 10:45
6 triage, was that something that you were involved in as
7 a registrar?
- 8 A. No.
- 9 27 Q. And, in 2019, when you came back as a consultant, did
10 you have any -- you obviously were involved in triage 10:46
11 at that point?
- 12 A. Yes.
- 13 28 Q. What was your view of how effective that was in 2019,
14 the process that you were undertaking as a consultant?
- 15 A. So, in 2019, we undertook what's known as advanced 10:46
16 triage. So during your consultant on call week, you
17 would triage the electronic referrals, as well as the
18 paper referrals in a timely manner, which meant that by
19 the end of the week you had a clean ship and everything
20 was done. And anyone who you thought was going to come 10:46
21 to immediate harm, you brought them in there and then
22 or to a Hot Clinic so you could see them during your
23 week on call. And it was important to have the triage
24 done for two reasons: One was for patient safety and
25 governance, but also so that your colleague coming on, 10:46
26 you don't leave them with a back foot before they're
27 about to start an on-call week.
- 28 29 Q. If I could just take you to your statement at WIT-42199
29 at paragraph 9.2 -- so we're asking about triage:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"Upon commencing work as a consultant for the Trust in 24th February 2019, I was informed by Mr. Young and Mr. Haynes and Urology Manager, Martina Corri gan, on how to undertake triage of GP referrals, online ECR and paper referrals, and code to appropriate time to be seen. 10:47

In relation to listing patients for theatre, I was informed on what categories each operation type needed to receive in order to be addressed in the appropriate manner. " 10:47

Now, I just want to ask you so that I'm clear on the sentence "code to appropriate time to be seen", is that a referral to the traffic light system of triage or was it explained to you in a different way at all? 10:48

A. In relation to routine, urgent and red flag.

30 Q. And did you have any control over the actual period of time in which a patient might be seen, or was it just within those three categories? 10:48

A. No, there was other controls. So if you thought a patient was going to come to immediate harm or they were at immediate risk, you could bring them in as a hot patient to a Hot Patient Clinic during your on-call week. So there is the ability to find that if you think someone is in immediate danger, to bring them in. But, beyond that, no, routine, urgent and red flag would be seen within those time periods, unless you 10:48

1 clearly state that you feel that maybe there is someone
2 who needs to come in within a certain period of time
3 for whatever reason. But you have to then justify that
4 above all these other patients as well, because there's
5 lots of patients who are being triaged. And so it's 10:49
6 about appropriately triaging that patient to the right
7 category.

8 31 Q. And so that was something that was before a red flag,
9 someone who actually needed to be seen quicker than
10 a red-flag referral? 10:49

11 A. Yes.

12 32 Q. Yes. And when you say you had to justify that, are you
13 saying as a clinician you had to make sure that you
14 were maintaining a priority, given that everyone -- the
15 other red flag people weren't in that hot seat, as it 10:49
16 were?

17 A. Yes.

18 33 Q. Or did you have actually justify that to management in
19 any way?

20 A. Not to management directly. But it's relating to 10:49
21 equity of access to a system for the people who are
22 referred to the service. But it's the ability as
23 a clinician to say if someone is going to come to
24 immediate harm or danger, that you bring them in
25 straightaway. So if you have someone who is referred 10:50
26 to you in -- they may have an issue that needs to be
27 seen directly there and then, even perhaps the same
28 day, and you bring them in as an on-call patient, well,
29 that happens, and it's about reading the information

1 manner. "

2

3 Is that another type of triage? I just want to
4 understand what that sentence means so that we are sure
5 what this system is. 10:52

6 A. It means listing a patient either as the routine and
7 urgent or a red flag.

8 38 Q. Does that refer to the waiting list for admission or
9 the waiting list for operations?

10 A. Waiting list for an operation. 10:52

11 39 Q. So the category of priority is attributed to the
12 patient, rather than the operation -- is there
13 a distinction in your mind?

14 A. No, it's related to the patient and what the patient
15 requires. 10:52

16 40 Q. Thank you. Now, you mention about administrative
17 support at WIT-42203, at paragraph 17.1 and 17.2. And
18 you refer to the service provided at 17.1:

19

20 "The service provided secretary support to each 10:53
21 consul tant. Audi otypi sts hel ped for l arge vol ume of
22 l etters di ctated, al ong wi th admi ni strati ve staff to
23 record referral s recei ved.

24

25 In relation to 24th February 2019 and 16th July 2019, 10:53
26 I recei ved secretari al support from Teresa Loughran for
27 typi ng of l etters, to book operati ng l ists, to ensure
28 resul ts were fol lowed up and to allow access for
29 communi cati on from other speci al ties, GPs and pati ents.

1 There were no issues related to this arrangement.
 2 There were also audiotypists to aid the secretarial
 3 workload on typing patients' letters due to the large
 4 volume. "

10:53

6 Now, there has been evidence before the Inquiry of
 7 administrative delays on some issues. The triage,
 8 we've discussed. You didn't do that as a registrar
 9 and, as I understand it, you have no problems with the
 10 triage system as a consultant since you've come back as
 11 well, either in 2019 or currently? 10:54

12 A. Well, I have no issue in undertaking it and doing it,
 13 no!

14 41 Q. There's no backlog, from your perspective?

15 A. No. 10:54

16 42 Q. Do you understand if there's a backlog at all in triage
 17 in the unit at the moment?

18 A. No, not for me or the consultants I currently work with
 19 I'm aware of any backlog. Certainly when I take over
 20 from whoever has been on the prior week, the triage is
 21 done and, before I hand over to the next one, the
 22 triage is done. 10:54

23 43 Q. In relation to dictation from you as a consultant when
 24 you're dictating your letters after clinics, for
 25 example, is that something that you have always done
 26 right away? 10:54

27 A. Yes.

28 44 Q. Immediately after seeing your patient or at the end of
 29 the clinic?

- 1 A. Immediately after seeing a patient in clinic in the
 2 room, I would dictate a letter. And I have a system on
 3 the outcome sheet that I then tick next to the box of
 4 the patient's addressograph to know I've done it.
- 5 45 Q. And that's done electronically now with the tapes? 10:55
- 6 A. Yes.
- 7 46 Q. And in relation to review follow-ups, when you were
 8 back in 2019 did you experience any backlog on reviews
 9 or delays in patients coming back?
- 10 A. I noted that when I then took a consultant job, that 10:55
 11 the Trust had a long backlog of operating and reviews
 12 to be seen. It was not something you are overly aware
 13 of as a registrar -- you're there to train and you're
 14 there to undertake your service requirement for that
 15 point. It became a different appreciation of a service 10:55
 16 as a consultant and so in the very -- I was only there
 17 for a brief time in '19, but, noting a backlog,
 18 I undertook a number of extra clinics to help the
 19 backlog to try and alleviate the pressure on the lists.
- 20 47 Q. And, as a registrar, you said you wouldn't have been 10:55
 21 aware of that particular administrative burden, but
 22 when you came back as a consultant were you surprised
 23 by the extent of the backlog, or was it something that
 24 just seemed to be accepted as being there?
- 25 A. I was -- it's -- in starting a consultant job, it's not 10:56
 26 something you overly want in a way, because you want to
 27 be able to see patients in a timely manner. So it was
 28 something which I was slightly taken aback by the
 29 actual depth of the waiting list, yes. But, in

1 hindsight, I suspect looking over the period of time
 2 which I've been there as the registrar -- from then,
 3 almost ten years prior, it's clearly something that has
 4 accrued over a period of time. And then certainly
 5 coming back in 2021, I came back at the tail-end of 10:56
 6 Covid and, yes, the backlog was considerable at that
 7 point and certainly a bit of a shock.

8 48 Q. And given that you have been there in 2012 and then
 9 back in 2021, what was your general view of the
 10 department and the service overall? Did you think that 10:57
 11 certain areas had got better/certain areas had got
 12 worse? what was your general feeling when you went
 13 back in almost ten years later?

14 A. Well, in 2019 when I saw the waiting lists, I didn't
 15 see it as a insurmountable issue to get over; it was 10:57
 16 a resource issue and could we over-work to get rid of
 17 the backlog, and then could we implement any strategies
 18 to try and prevent that from happening again? So I saw
 19 that in '19 as a challenge, which I think I foresaw we
 20 could achieve and turn around. 10:57

21
 22 Coming to a end of Covid, a 2021 period, where clearly
 23 what had happened during Covid had tipped the whole
 24 system over the edge for Urology, that was a different
 25 ball game completely. 10:58

26 49 Q. And when you say it wasn't insurmountable in 2019 and
 27 you've provided some examples of how that might have
 28 been -- things might have been, perhaps, caught up with
 29 at that point, were they discussions that were ongoing

1 in the unit? Were you speaking to others about this?
2 Were other people saying the same thing as you?
3 A. As a team, I had the opinion that we were working
4 together to have strategies to reduce how many patients
5 went on to clinic lists, how we prevented follow-up -- 10:58
6 and that's the whole idea behind advanced triage,
7 virtual work. So patients, instead of always coming
8 back to clinic with results, if they didn't need to
9 come back and a letter would suffice, it's that sort of
10 way of working, of what other strategies could you 10:59
11 implement.

12
13 Another thing we implemented was a virtual sort of
14 stone meeting, which predates the current GIRFT report.
15 That is now part of the GIRFT report -- not because of 10:59
16 what we did, but we just pre-empted the direction of
17 travel at that point. So we instigated a stone meeting
18 and that meant instead of all the stone patients having
19 to all come to a clinic, they would be seen in a stone
20 meeting each week. This is currently ongoing. We see 10:59
21 between 30 to 50 patients on a Tuesday afternoon in
22 that meeting. Traditionally, those patients would have
23 all gone to a clinic, which meant your backlog would
24 have been in months to years. If you now present as
25 a stone patient, you will be seen from that meeting 10:59
26 within the week or the following week. So you've
27 turned around from months to years, to the same week or
28 the following week. And the team were a runner-up for
29 the Quality Improvement Awards in Manchester for that

1 work. So, going back to the question of did I foresee
2 a turnaround by instigating these sort of strategies,
3 yes, I did.

4 50 Q. You've given me a lot of information, so I will try and
5 unpick some of the -- 11:00

6 A. Sorry!

7 51 Q. That's okay, it's all very relevant. But we'll just
8 start at the end and you've mentioned about the award
9 and the model, I think, the stone meeting model, if we
10 can call it that. That seems to have been very 11:00
11 effective in reducing turn around times. Is that
12 a model that can be read across other treatments?

13 A. Yes, definitely.

14 52 Q. And do you know if it has been sought to be adopted
15 across other treatments by the Trust, either this Trust 11:00
16 or any trust?

17 A. Maybe not in -- not currently in this Trust or other
18 Trusts that I'm aware of, but it's a model that
19 I suspect is probably used by other specialties. But
20 it's the wider picture of Northern Ireland of how we 11:01
21 could restructure, knowing we have five Trusts and
22 should we narrow down to one.

23 53 Q. Well, just on the more micro level of the actual
24 meeting and the way in which that seems to have been
25 very effective in reducing waiting times, was it 11:01
26 a costly model to introduce or a labour-intensive
27 model, or is there something about it that would
28 perhaps make managers pause before seeking to roll it
29 out more broadly?

- 1 other consultants were already in post. Did you think
2 that your opinion that it was not insurmountable was
3 informed by the fact that you were coming and knew
4 again, or did you just simply walk in and these
5 conversations were already ongoing of "This is not 11:03
6 insurmountable, we can catch up"?
- 7 A. It's hard to think back to say whether the conversation
8 was already ongoing. I suspect they may -- I honestly
9 couldn't reliably comment on were they already ongoing.
- 10 56 Q. Well, some of the suggestions that you've made about 11:03
11 what could have been done about resource and
12 allocation, for example, were they conversations that
13 were happening when you arrived or did you introduce
14 some of these ideas as potential remedies?
- 15 A. Well, certainly the stone conversation, I had had prior 11:04
16 with Mr. Young and he also helped oversee it.
17 Mr. Haynes was very helpful in that, in helping out in
18 how we redevelop this as well. But beyond the rest of
19 it, other parts beyond my control, no. I mean, I'm
20 very much, I'm a complex stone surgeon, so, from my 11:04
21 aspect of the service, I can comment reliably on that
22 part, but I would struggle at this point to comment
23 reliably on those other parts in 2019.
- 24 57 Q. I suppose, the question is aimed more at whether there 11:04
25 was a collective discussion among consultants around
26 a strategy to try and address what, at that point, were
27 already perhaps high and rising waiting lists; was
28 there a sense that people were chatting about this,
29 whatever their specialty, and saying "we can get on top

1 of this if we do X, Y and Z" -- do you have any
 2 recollection of those conversations?

3 A. Only as regards the advanced triage perspective and how
 4 we don't bring all patients back to follow-up reviews.
 5 Mr. Haynes was a big champion upon making sure that 11:05
 6 patients who could have their follow-up virtually as
 7 regards their results or their ongoing follow-up for
 8 any particular reason, that we did that in a virtual
 9 way. So, from that perspective, I can remember from
 10 that department... 11:05

11 58 Q. Now, you have mentioned that you felt very -- felt
 12 supported during your time in Craigavon at WIT-42214.
 13 And this is when you went back as -- and you have
 14 already said as a registrar you felt supported, but
 15 this is when you went back as a consultant, 46.1. We 11:05
 16 have asked you about support, and you said:

17
 18 "I did feel supported. Mr. Young was an excellent
 19 mentor and, starting as a new consultant in February
 20 24th 2019, he was also either at hand or a telephone 11:06
 21 away for how any part of the service functioned or any
 22 questions a new consultant may have. Martina Corrigan,
 23 as Head of Service, had an open door policy, making the
 24 team feel supported, and I believe was championing the
 25 need to reduce the Trust waiting times, especially for 11:06
 26 routine urology services. "

27
 28 So when you came back as a consultant, you felt that
 29 there was a safety net, as such, for you in this new

1 post?

2 A. Yes, it's one of the reasons I decided to take the job.
 3 It's the people, if you look, who you're going to work
 4 with -- will they see how you want to develop as
 5 a surgeon and will they support your strategy or the 11:06
 6 way you wish to move forward, and that's one of the
 7 reasons why I took the job in the Trust.

8 59 Q. I had referred earlier on to the cancer nurses and I
 9 don't think you were particularly involved in that
 10 role; the CNS wasn't something that you had particular 11:07
 11 involvement with?

12 A. So, the CNS I had particular involvement with from
 13 October 2021, and that was only from a period of time
 14 when I came back -- because of the low consultant
 15 numbers, I was involved in the MDM up until July 2023 11:07
 16 to help out. So, from that perspective, I then did see
 17 cancer patients and the CNS then is a vital role, who
 18 I always insisted to be present at the clinic
 19 appointments, as they are the point of contact for
 20 those patients. 11:08

21 60 Q. And did you always find that the capacity to have a CNS
 22 available for you was met? were the numbers good?

23 A. There were only a couple of times when there was no CNS
 24 present, and that was either because they were away
 25 doing another role, potentially, or one time someone 11:08
 26 was unwell. So, at that point, it's very important
 27 that I copy them into the correspondence of the letter
 28 from the appointment, and also provided the patient
 29 with their contact details and I asked the CNS to

1 contact that patient following the appointment.

2 61 Q. You've mentioned MDMs as well. It wasn't something
3 that was routinely part -- I think you had the stone
4 meeting, rather than MDM on a weekly basis?

5 A. Yes. 11:08

6 62 Q. But you did attend some MDMs. What was the time period
7 again for --

8 A. From the end, say, October 2021 until July 2023.

9 63 Q. And what was your view of, when you were attending
10 MDMs, what was your view of the issue around attendance 11:08
11 of both consultant urologists and other specialties?

12 A. The majority of the time, very good, but there were
13 times when a meeting would have to be potentially
14 cancelled if there was not enough consultant urologists
15 present. Or, at times, if there was no Radiology 11:09
16 support, then any decisions for Radiology or scans to
17 be reviewed, we then had to roll those patients over --
18 and in incredibly rare instance if there was no
19 pathologist or oncologist present. But the times I was
20 there, I would say it wasn't the majority of the time; 11:09
21 it was very much the minority, but it still did occur.

22 64 Q. And when you say roll patients over, was that the delay
23 to the next meeting for discussion?

24 A. That was delay to the next meeting, yes.

25 65 Q. And they were usually picked up at that meeting -- 11:09
26 would that have been your experience, that there wasn't
27 a further delay by the absence of quoracy over a longer
28 period?

29 A. No.

1 66 Q. I wonder if we could scroll down to paragraph 68.1?
 2 Sorry, I don't have the correct reference. We have
 3 asked you at paragraph -- Question 68:

4
 5 "What do you consider the learning to have been from 11:10
 6 a governance perspective regarding the issues of
 7 concern within Urology Services?"

8
 9 And you have already told us you had no concerns around
 10 any of the consultants, but this is your answer to that 11:10
 11 -- you say:

12
 13 "Learning as to the administrative and governance
 14 processes, I note these have been looked into and the
 15 process made more robust in relation to a referral and 11:11
 16 recording of cancer MDM. I note a new role has been
 17 created for cancer MDT administrator to focus on audit
 18 of MDT outcomes, which should identify any deviation
 19 from agreed actions for patients."

20 11:11
 21 Now, just in relation to that issue about deviation
 22 from agreed actions following MDMs, was it ever your
 23 experience that that was something that happened, that
 24 there was a deviation?

25 A. No, not until I have read the Urology Inquiry 11:11
 26 documentation.

27 67 Q. And in your experience of MDM attendance both during
 28 that particular period -- I know it's late on in our
 29 time, in our timeline, but what was the process or what

- 1 did you understand to be the process or proper
 2 procedure, if there was to be a deviation from
 3 a previously agreed MDM proposed plan?
- 4 A. Well, it's paramount that if anyone deviates from
 5 a plan that's been discussed amongst a large group of 11:12
 6 experts, that that should be represented. You can't
 7 single-mindedly go off on a deviation from it. And so
 8 I would expect anyone who had then subsequently seen
 9 a patient who then the plan could potentially change,
 10 to represent that patient. 11:12
- 11 68 Q. So, for example, if an agreed plan was a certain form
 12 of treatment and the clinician then subsequently
 13 performed some tests and they came back that may have
 14 changed his view as to the appropriateness of that
 15 treatment, rather than just then make that decision, is 11:12
 16 it the expectation currently, or has it always been in
 17 your mind, that that should come back to the MDM for
 18 discussion?
- 19 A. It should have come back to the MDM for discussion and
 20 that's the way I would view it from an obvious 11:12
 21 standpoint of you've gone to a meeting to make a plan,
 22 you've gone away, something's changed -- well, you
 23 bring it back.
- 24 69 Q. And within that context, is it your view that the MDM
 25 plan is a proposed one, based on what is presented at 11:13
 26 the meeting at that point, but that it should always
 27 come back for collective endorsement?
- 28 A. If the plan is going to change beyond the proposed
 29 treatment or plan to something completely different,

1 then it has to be re-presented.

2 70 Q. Is there any -- is there another perspective on that,
 3 that the MDM is a recommendation that the clinician
 4 then discusses with the patient and, together, they
 5 then decide what the best outcome is, given the 11:13
 6 patient's views?

7 A. Completely. So it's patient-centred care and we can
 8 only do recommendations to patients. But if a patient
 9 or a clinician then decide to go along a completely
 10 different path, it needs to be brought back because the 11:14
 11 reason being is if the patient decides on a different
 12 route, is there an alternative option which may even be
 13 better or enhanced, even if they don't want to go
 14 a recommendation. So it's not about just accepting
 15 "Okay, that's fine, go that way" -- it's about bringing 11:14
 16 back and going "well, they want to do this -- what does
 17 everyone think? They want to do it, fine, but can we
 18 recommend anything else as well?". So it's the ability
 19 to bring back to discuss for the benefit of that
 20 patient. But, fundamentally, it's the patient's 11:14
 21 decision.

22 71 Q. So it's drawing on the expertise of the other members
 23 of the MDM. So, for example, if a patient doesn't want
 24 a proposed form of treatment because of side effects
 25 and that's brought back, an oncologist may say "well, 11:14
 26 actually, here's another option -- if that's the worry
 27 for the patient, this may negate that worry" -- is that
 28 an example of what you're saying would be the benefit?

29 A. Completely.

- 1 72 Q. If a patient refuses all treatment that is being
 2 offered or suggested or recommended by the MDM, would
 3 that be something that you would anticipate being
 4 brought back for discussion or is that something the
 5 clinician can give consent about at the appointment 11:15
 6 with the patient and leave that as it is?
- 7 A. It would vary upon a case-by-case basis, potentially,
 8 but the majority of the examples would probably be that
 9 you should bring the patient back to document for the
 10 meeting that the patient has decided upon this form so 11:15
 11 everyone is aware. And, again, it's: Does that
 12 patient require further consult, even with a different
 13 specialty? So once again, if they wish to decline and
 14 go along that route, I personally would still bring
 15 them back to notify in case anyone else would be of 11:15
 16 benefit in seeing that patient -- because it may not
 17 just be a urologist; it may be an oncologist, it may be
 18 somebody else.
- 19 73 Q. So the MDM presents a potential for an ongoing
 20 conversation about patient care? 11:16
- 21 A. Yeah, and which direction that patient, who may have
 22 decided to do something else, may wish to go into. So
 23 it may be to bring you back to present to the
 24 radiologists, the clinical oncologists, the medical
 25 oncologists, the palliative team. 11:16
- 26 74 Q. I had asked you about CNS nurses and I know your
 27 experience of that is very limited, and I think your
 28 knowledge of any concerns around that is from what you
 29 have read about the Inquiry, rather than any of your

1 own experience, is that right?

2 A. That's right, yes, yes.

3 75 Q. There is an e-mail where you've asked for one of the
 4 nurses to take on more responsibility. It's
 5 non-contentious, but it's an example of you seeking to 11:16
 6 expand the capacity and the, I suppose, turnover for
 7 other members of staff. And if we look at that at
 8 WIT-33371 -- and the nurse in question is Jason Young.
 9 This is an e-mail from you to Wendy Clayton at 4th May
 10 2022, so fairly recently, and you have copied in -- and 11:17
 11 I just want to use this as an example of you suggesting
 12 a way in which very highly qualified nurses, which
 13 seemed to have been the case for urology nurses in
 14 Craigavon, may be utilised in another way where you
 15 have made a suggestion, and I just want to explore 11:17
 16 where that may have ended up. You say:

17
 18 "Hi ,

19
 20 I have spoken to Jason, who is keen to increase his 11:17
 21 role in the stone side of the team. I would propose he
 22 does a session each morning and we will set up
 23 a pathway re:

24
 25 1. Ureteric stones for the conservative management 11:17
 26 route. This would allow us to be more towards the NICE
 27 and EAU Guidelines, in having patients' renal function
 28 checked, as well as calcium and urine as already done,
 29 as well as we could book the follow-up imaging and

1 discharge if suitable and stone passed along with
2 prevention advice for suitable patients.

3
4 2. To include the follow-up at present to ensure
5 ureteric stents taken out at home by patients. In the 11:18
6 long run, this should be a more automated approach.

7
8 3. Follow-up of long-term not highest risk patients,
9 they should come to me - cystine spinal single kidneys,
10 abnormal or altered anatomy etc - and short-term with 11:18
11 view of discharge if stable stone formers, including
12 small, unchanged stones, discharged with advice.

13
14 Would be great if Jason had an ECR account to book this
15 high volume of work under that myself, or myself or 11:18
16 John, in our name, that we could provide oversight to
17 that is separate from all our other results so I don't
18 end up doing the work for Jason when I sign all the
19 results off. I would like to make a website pathway
20 for the regional ESWL referral only from Urology teams 11:19
21 in the region for direct booking onto the service and
22 then managed by the Radiology team.

23
24 The ESWL service, I am very keen to have day-to-day
25 running by Radiology and, given our regional service, 11:19
26 a Band 8 for the centre would be suitable, given it
27 would be the Northern Irish ESWL centre at this point.

28
29 This would then also include the ED teams in the region

1 for referral to stone MDM as per Girft report pathway,
2 and then a more robust pathway, as the paper form means
3 some are not filled out fully. A meeting with IT would
4 be great.

11:19

5
6 Thanks,
7 Matt."

8
9 There's a lot of detail in that, but I wanted to bring
10 that to the Panel's attention as an indication of could 11:19
11 I call that proactive, pre-emptive management of
12 workload?

13 A. Yes.

14 76 Q. And appropriately focused delegation, perhaps, to allow
15 you to focus on the patients that need your attention 11:20
16 and allow both the clinical and administrative issues
17 around other patients to be dealt with by, in this
18 case, Mr. Young, Jason young?

19 A. Jason Young.

20 77 Q. Yeah. Now, it seems that this is a very focused e-mail 11:20
21 to streamline both the service and the use of staff
22 more appropriately, and we will see the reply of wendy
23 clayton just above at the blue text at the top. She
24 then on 4th May 2022, after this e-mail, sends to Mark
25 Haynes: 11:20

26
27 "Mark,

28
29 Can we discuss at our next one-to-one meeting please?"

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

I am just wondering if there was an update on that, if there was any outcome of those suggestions or what happened next?

A. Okay, it's probably best if I take them one by one then because there's a lot in the e-mail. So the first one regarding Jason Young -- so, it's the ability of a service to divide care to the most suitable clinician. So Jason Young, as a nurse specialist, his role, part of his role for a stone team is the conservative management of the low risk ureteric stones to ensure those patients have their imaging organised at the right point.

But the main point of this was renal functions and that's why I refer to the guidelines -- is if you have a ureteric stone, you should have a periodic renal function checked to ensure it's not declining when you're in a conservative route. So that then was actioned and Jason took up that role. So the outcome of that was Jason took up that role.

Number 2, "To include follow-up at present to ensure ureteric stents are taken out at home." So I am an advocate of not putting in stents unless really required and, if they are put in, can these be taken out by the patient at home with a stent on a string? So for the majority of times when I was doing ureteroscopy in laser cases in, say, Daisy Hill or

1 Lagan valley, if suitable, which is the majority of
2 patients, if they required a stent, it goes on a string
3 and an information leaflet to patients to say how you
4 take that stent out at home. And then the follow-up of
5 that is Jason Young -- also his role would telephone 11:22
6 the patient to ensure that stent has been removed --
7 from a perspective to document, it's been removed, so
8 we don't end up with stents in for long periods of
9 time. There should be a more automated approach. It's
10 can we develop -- we're in 2023 -- is there a better 11:23
11 way to show that a patient has removed the stent?
12 Could they take a picture and send it on an app to say
13 "This is my stent, I've taken it out", rather than
14 Jason Young phoning them up. It's saying we need to
15 move and look towards the fact we're in 2023. That's 11:23
16 still a project in development, because we don't have
17 the resources to undertake that technology move, which
18 would free up Jason from having to call someone.
19
20 Number 3, "Follow-Up of Long-term..." -- so this is 11:23
21 once again me saying, as a complex stone surgeon, you
22 want me to see the toughest cases, the patients who are
23 going to come to harm from recurrent stones, and it's
24 trying to show that in splitting the work into the
25 right silo to see the right person, I can concentrate 11:23
26 on making sure that the highest risk people, I see, and
27 my time then is looking at the real complex cases. And
28 this then develops into what's then known as a complex
29 stone unit and that's how, in Northern Ireland, we're

1 moving to a complex stone unit model where there will
2 be in the Southern Trust -- and hopefully from the
3 start of some time in 2024 we will move to that model.
4 And that's in negotiation with the Civil Service, with
5 David McCormack from the regional meetings each month, 11:24
6 that we have developed that model. So that's looking
7 to the future to say: How do we as an entire region
8 have equity for Northern Ireland? So that's number 3.

9
10 The next paragraph then is the Jason to take 11:24
11 responsibility for the work he does -- so to make sure
12 he signs off to say "I've signed off those renal
13 function tests -- they're abnormal", or to say "Hang on
14 a minute, they're abnormal, I'd better bring it to the
15 attention of the consultant." 11:25

16
17 The following paragraph then is regional ESWL. So
18 Northern Ireland now has a regional ESWL centre, which
19 started a few months ago, and that's, once again, me
20 looking at how is the day-to-day management of 11:25
21 a regional service best delivered. Yes, I have
22 oversight and I have helped to develop the actual
23 centre and I'm available, but the day-to-day running
24 has to be the up-skilling of the staff who will provide
25 those treatments -- in this case, it's the 11:25
26 radiographers -- and up-skilling of them and them
27 having oversight to a service which they are
28 predominantly delivering the treatment, whereas urology
29 obviously books to the ESWL service and we have

1 oversight of it and we do run it, but it's in
 2 combination with Radiology as well, with the
 3 radiographers. So that's me stating that we need
 4 a proper remuneration to a radiographer to run
 5 a regional service, so it works. 11:26

6 78 Q. And was it a mixed success in some of the suggestions
 7 or was -- what was the outcome of your suggestions?

8 A. So to run through them again -- number 1, I still have
 9 advocated there needs to be at least two nurse
 10 specialists for stones to successfully run the volume 11:26
 11 of patients that come through it. We currently don't
 12 have a full-time nurse specialist for that role.

13 Jason's time is also split into the lower urinary tract
 14 symptom clinic as well. So for the model which I would
 15 propose for the safety and the efficacy and the 11:27
 16 governance and the best model for patients, you need
 17 two stone nurses for that service. So that's something
 18 which I've advocated and I think the service needs, but
 19 we don't have two at present.

20 11:27
 21 To number 2, I know my colleagues have all moved more
 22 towards putting stents on strings. The automated
 23 approach is something which, until we can be provided
 24 with the correct technology to achieve that or
 25 resources to undertake that, that won't happen. 11:27
 26

27 Number 3, my clinics are mainly made up of the highest
 28 risk patients, but that's based on also the fact that
 29 I need to see the highest risk patients because they

1 are more likely to come to harm.

2

3 And then the regional centre, as I said, is now
 4 a regional centre and it's probably also important to
 5 note, because the team worked hard on that, that they 11:28
 6 -- that we have been awarded, for the quality
 7 improvement and the process we've put in place, an
 8 award from the Civil Service for -- and the Department
 9 of Health for setting up the regional centre and the
 10 model which we created. 11:28

11 79 Q. So, in general terms, it's a mixed bag of results.
 12 Some of the things you've suggested are pragmatic and
 13 practical and achievable in the short term. Some are
 14 more long-term and some are visionary in some respects
 15 of what, hopefully, will happen in the long-term? 11:28

16 A. Yeah, but I will say the staffing issue is achievable.
 17 You just have to staff the unit properly. You need two
 18 nurse specialists. We don't have two nurse
 19 specialists.

20 80 Q. And did anyone meet with you after this e-mail? Did 11:28
 21 Mark Haynes come and speak to you or Wendy Clayton or
 22 was there a follow-up meeting about some of the
 23 suggestions? What do the suggestions around improved
 24 governance actually look like at your level? What
 25 happens after this e-mail? 11:29

26 A. So following on from this e-mail, I met regularly with
 27 Mark Haynes and Wendy. Mark Haynes and Wendy Clayton
 28 have been very big advocates and supporters of this
 29 model, and it's -- without their help and without their

1 knowing who the stakeholders are in order for this to
2 be achieved, without them then it would me be having
3 conversations with myself.

4 MS. McMAHON: Chair, I wonder if that would be
5 a convenient time to take a break? 11:29

6 CHAIR: It's now half past eleven. We will come back
7 at quarter to 12.

8

9 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED, AS FOLLOWS:

10

11:36

11 CHAIR: Thank you, everyone.

12 81 Q. MS. McMAHON: Mr. Tyson, I just want to go back to your
13 addendum statement. I said I would come back to it and
14 I just want to go into it at this point and read some
15 of it into the record. It's at WIT-104212. And I just 11:47
16 want to read the first five paragraphs. You start at
17 paragraph 1:

18

19 "I commenced my employment as a consultant with the
20 Southern Trust on Monday, 25th February 2019, and not 11:47
21 Sunday, 24th February 2019."

22

23 And then you give us a list of paragraphs that require
24 amendments. At paragraph 2, you say:

25

11:48

26 "At paragraph 14.2, WIT-42202, I have stated 'Low
27 staffing, however, from a nursing and doctor
28 perspective leads to a tired and stressed workforce and
29 increases the probability of things going wrong from

1 a clinical perspective' . . . "

2

3 -- and you've told us that there's just an error in
4 typo -- it should be "tired". At paragraph 3, you say:

5

11:48

6 "At paragraph 66.3, at WIT-42222, I have stated 'I have
7 been made aware that there was administrative issues of
8 triage not being returned in a timely manner and that
9 the administration team now ensures that they have
10 accounted for all referrals and that the triaging
11 doctor returns the outcomes in a timely manner.'

11:48

12 This should state 'I have been made aware that there
13 were administrative issues of triage not being returned
14 in a timely manner not related to myself and that the
15 administration team now ensures they have accounted for
16 all referrals and that the triaging doctor returns the
17 outcomes in a timely manner.' "

11:49

18

19 You've given evidence on that as well.

20

11:49

21 You say at paragraph 4:

22

23 "Upon review of my witness disclosure bundle, I have
24 noted at WIT-13114 that Mr. Carroll has stated that I
25 was the Standards and Guidelines Lead. In relation to
26 this reference by Ronan Carroll, I would say
27 as follows: I was the Standards and Guidelines Lead
28 for benign urology. The cancer-related guidelines were
29 incorporated into the roles of Mr. Glackin and

11:49

1 Mr. Haynes for their specialist roles with Cancer
2 Services and the cancer MDM. I undertook my role from
3 24th October 2021 until July 2023. The role was for
4 mainly urology stone-related guidelines, to help
5 transform the stone pathways for the SHSCT and
6 development of regional ESWL stone service. "

11:50

7
8 Just stopping there, in relation to that role,
9 Standards and Guidelines, you've mentioned that in your
10 e-mail about NICE and the EAU Guidelines as well, and
11 you are clarifying at this paragraph that it was for
12 non-cancer in relation to your development of the stone
13 service?

11:50

14 A. Yes.

15 82 Q. At paragraph 5, you say:

11:50

16
17 "Upon review of my attendance record for MDMs from
18 January 2022 until May 2022, WIT-24251, I would make
19 the following comment: Attendance at MDM was affected
20 by annual leave, birth of my son, occasional elective
21 theatre lists, and a possible virtual attendance
22 episode not recorded. I am no longer part of the
23 cancer MDM due to my subspecialist role and development
24 of regional stone services. "

11:50

25
26 Now, before we move on to paragraph 6, I just want to
27 take the Panel to two pieces of documentation, to give
28 them context for this. The first one could be found at
29 PAT-001698. And for the purposes of the cipher list,

11:51

1 it refers to Patient 82. This is an operation note.
 2 we'll see the hospital, Craigavon, and the operation
 3 performed. Is that your writing?

4 A. No.

5 83 Q. No. You didn't fill in the operation note? 11:51

6 A. No.

7 84 Q. who fills that in?

8 A. well, this is a -- I am a registrar here, as a first
 9 year registrar -- this is Aidan O'Brien doing the
 10 operation note. He is my supervisor, I am the trainee. 11:52
 11 I am performing this procedure, which is injection of
 12 botulinum toxin into a patient's bladder who has
 13 urodynamic proven detrusor overactivity.

14 85 Q. Thank you for filling that background in -- it saves me
 15 trying to struggle with the pronunciation and the 11:52
 16 writing! But the date on this is 29/5/2013, so it's
 17 during your registrar time. The surgeon is down as
 18 Matthew Tyson, as you've said you've performed that.
 19 And if we just go to the bottom of the operation note,
 20 we will see the -- Mr. O'Brien has signed as a surgeon. 11:52
 21 Is that because of the supervisory nature? Is that the
 22 process? Just so we understand the process, you were
 23 doing this under supervision?

24 A. So, on the top left-hand side of the page, it's my name
 25 is the operating surgeon. Aidan O'Brien has signed it 11:52
 26 as the signature of writing the operation note.

27 86 Q. And just for completeness, the other piece of
 28 documentation that's going to be referred to when
 29 I read out the section of Mr. Tyson's addendum

1 statement is at PAT-001769. And if we go to
2 PAT-001769, so this is a discharge letter. Consultant
3 Urologist at the top, Mr. O'Brien, and the GP's name.
4 All of the information has been redacted. We can see
5 it's Patient 82. The date of admission was 29th May 11:54
6 2013, which we saw on the previous letter. And the
7 procedure, which you've just explained, is marked in
8 the table of details. So the body of the letter says:

9
10 "Patient 82 11:54

11
12 Above operation was undertaken in the day surgery unit
13 and he was discharged home the same day. I know the
14 gentleman has a background history of detrusor muscle
15 overactivity, as well as prostatic carcinoma. I know 11:54
16 the gentleman is on an antigen blockade and I believe
17 he currently takes bicalutamide 50 mg once a day and
18 tamoxifen 10 mg daily. I note his latest PSA is
19 0.14 ng/ml on 1st March 2013. He appears to have this
20 well-controlled since 2011. 11:54

21
22 Many thanks.

23 Yours sincerely..."

24
25 -- and then your name is typed in as "Mr. Matthew 11:55
26 Tyson, Urology Registrar to Mr. Aidan O'Brien,
27 Consultant Urologist." And if we just move down again,
28 please, and we'll see the date that's dictated is 23rd
29 June 2013, and typed two days later on 25th June, just

1 a month since the date of the procedure which was
2 carried out on 29th May 2013.

3
4 Now, they are the operation notes and the discharge
5 letter as background, and then I will read paragraph 6 11:55
6 of your addendum statement -- and we have provided you
7 with this information, and you say at paragraph 6:

8
9 "Upon review of Patient 82's notes and records and
10 specifically the discharge letter at PAT..." -- 11:55

11
12 CHAIR: Sorry to interrupt, but can we just have that
13 up on the screen then again, please?

14 MS. McMAHON: My apologies. It's WIT-104213.

15 CHAIR: Thank you. 11:56

16 87 Q. MS. McMAHON: Apologies, Chair. Paragraph 6. So, you
17 say:

18
19 "Upon review of Patient 82's notes and records and
20 specifically the discharge letter at PAT-001769, 11:56
21 I would like to make the following comments:

22
23 I was involved in this case from the perspective of
24 a first year urology trainee in 2013, undertaking
25 a supervised injection of intravesical botox into the 11:56
26 bladder for treatment of bladder storage symptoms under
27 Mr. O'Brien. I note a written discharge from
28 Mr. O'Brien was provided to the patient and GP upon
29 discharge from the procedure.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

A further dictated discharge was provided by myself for the procedure as a typed letter. My typed letter states 'I note the patient to be on 50 mgs of bicalutamide and tamoxifen', which will be from reading the paper discharge summary. My role was to provide a discharge summary for the procedure of intravesical botox to the bladder undertaken as a first year urology trainee. The perceived delay in dictation may relate to the time it took the notes to arrive to Mr. O'Brien's secretary's office for dictation, possible annual leave, on call commitment, or the date dictated recorded on the letter may also be inaccurate. This was done at the time on a tape-recorded dictaphone and it was the role of the registrar to provide dictated discharge letters for inpatient activity, both acute and elective admissions.

Current practice is for a dictated discharge to be undertaken immediately following operation, most commonly by the Consultant Urologist via digital dictation software. Further inpatient discharge is generated by the foundation doctor, but with oversight of the Urology team."

And I will just finish the extract from your addendum -- your final paragraph says:

1 "Finally, I would like to state that I handed in my
 2 notice on 25th October 2023 due to my wife needing to
 3 relocate for work and, thus, for family reasons, I will
 4 be leaving my employment at the Southern Trust on 18th
 5 January 2023." 11:58

6
 7 So if we just go back to the Patient 82, the reference
 8 to that, just generally in relation to Bicalutamide 50,
 9 which is, as you know, the reason for bringing you to
 10 these documents, is that something that you prescribe 11:58
 11 as a clinician?

12 A. No.

13 88 Q. Have you ever --

14 A. Not as a monotherapy.

15 89 Q. Have you prescribed it in other forms? 11:58

16 A. To prevent a tumour flare, I would prescribe it in
 17 instigating an LHRH agonist for 28 days.

18 90 Q. So as a combined therapy?

19 A. As a combined therapy, for a short duration of time.

20 91 Q. And do you prescribe Bicalutamide 150 as part of your 11:59
 21 practice at all?

22 A. Not in my practice, no.

23 92 Q. Are there any circumstances in which you would
 24 prescribe Bicalutamide 50 as a monotherapy?

25 A. No. 11:59

26 93 Q. Just generally in relation to the prescription of
 27 medication in a way that is not as per the licence
 28 purpose for both the dose and the drug, have you ever
 29 had to step off licence in your own practice in order

1 to accommodate the certain presentation of a patient
 2 and prescribe something that's not strictly on licence?
 3 A. Well, strictly speaking, tamsulosin does not have
 4 a licence for stone-related -- for ureteric stones.
 5 And in urology practice, we have moved away from 12:00
 6 everyone having a prescription potentially of
 7 tamsulosin for ureteric stone. It's not a licensed
 8 indication per se. It is recognised in the literature
 9 that there are certain events, such as distal ureteric
 10 stones or post ESSEL, that may be of benefit, so from 12:00
 11 that relation we have at times prescribed tamsulosin.
 12 As part of the stone meeting, though, we do not
 13 prescribe tamsulosin, as we are not seeing the patient
 14 face-to-face and, therefore, we do not prescribe it.
 15 94 Q. So, if you are seeing the patient face-to-face and they 12:00
 16 fit the profile by which an off licence or
 17 a literature-supported prescription may be appropriate,
 18 what's the procedure with the patient? How do you
 19 manage that? Do you explain to them or what way do you
 20 get consent -- how does that operate in practice? 12:01
 21 A. You would explain that the drug itself is not
 22 a licensed indication, but for stones it's -- I,
 23 personally, don't use it at present, but you should
 24 inform the patient that it's not a licensed indication
 25 and you should explain the side effect profile; you 12:01
 26 should explain the evidence behind why you're using
 27 that drug and you offer it to the patient -- and it's
 28 an offering the patient the drug, not -- it's always
 29 offering a patient a drug, it's not saying "You must be

1 on this." It's the pros and cons to say why you may
 2 have put a patient on that medication for a short
 3 period of time and not a lifelong indication.

4 95 Q. And would you record that in the patient notes or
 5 somewhere else? 12:02

6 A. We would record why we have put that patient on
 7 tamsulosin and had the discussion with them.

8 96 Q. And would that be information that you would provide to
 9 -- in the GP's letter or discharge letter or review
 10 letter? would you go into that sort of detail or would 12:02
 11 that not be a normal practice?

12 A. It would be normal practice if someone is being
 13 discharged on tamsulosin for a stone-related event to
 14 be on their discharge, yes.

15 97 Q. And the explanation for that prescription on the 12:02
 16 discharge letter or not?

17 A. Well, the tamsulosin should be defined for a short
 18 period of time. So if you are passing a stone,
 19 traditionally people put patients on tamsulosin for
 20 a four-week period, so it will be a short prescription. 12:02

21 98 Q. Now, the Panel have seen and we will just go back to
 22 the discharge letter, PAT-00176 -- PAT-00176. Is that
 23 right? 1769, sorry. The Panel will have seen that the
 24 discharge letter mentions Bicalutamide 50 mg. Now, you
 25 have said in your addendum statement that you would 12:03
 26 have taken this information from the patient's file,
 27 and that would have been information that was recorded
 28 by the consultant -- in this case, Mr. O'Brien. Just
 29 so we understand the procedure by which the registrar

1 does the discharge letter, in your own practice at the
2 moment, do registrars do your discharge letters?

3 A. Not per se discharge letters, so -- it's probably
4 easier just to explain from start to finish. So the
5 patient comes in for an elective or emergency operation 12:04
6 -- every patient who is operated on, either by myself
7 or by the registrar on call or someone who I am
8 training, everyone has a dictated letter, and that
9 forms part of their discharge, and that has to be
10 undertaken immediately following the procedure -- and 12:04
11 that's why we have digital dictation software and I am
12 insistent upon those letters being done. My backup for
13 that is my secretary, who, when patients who have been
14 operated on and discharged in our name, they will tell
15 me if someone hasn't had a letter done -- and there 12:04
16 have been a few rare instances where a letter hasn't
17 been done and so I have then chased up the fact that
18 a letter has not been dictated.

19
20 From the perspective of then the patient who is then on 12:05
21 a ward, they then have a letter which is a digital --
22 not a digital dictation letter, but a digital discharge
23 summary which is provided by and typed by the FY1. But
24 the information which the FY1 gets is from the team
25 seeing the patient and explaining "This is what the 12:05
26 discharge plan will be."

27
28 If the case requires and if I am on call or there is
29 a case of certain complexity that requires then

1 a further letter, I will also dictate a letter so that
 2 I'm very clear that this has been undertaken in the
 3 right manner, or especially if there is a referral to
 4 another specialty, or certainly another region.

5 99 Q. would it ever be the case that a registrar would 12:05
 6 question the details on the patient's notes that were
 7 to find their way into a discharge letter? Has it ever
 8 been the case either you as a registrar or having
 9 registrars would say " Can I query this with you? I am
 10 not sure about the detail I am putting in here."? 12:06

11 A. Yes, so, if the registrar is unsure what the discharge
 12 follow-up plan is, they ask me and I inform them what
 13 I say -- what I think it should be. And I also, if
 14 I come across a discharge plan that has been typed
 15 wrongly, I send it to the doctor who has typed that to 12:06
 16 have it amended.

17 100 Q. The Inquiry has heard from a relative from Patient 82
 18 in evidence and, if we go to TRA-01869, and this is
 19 just an extract from that in relation to this letter.
 20 Now, the Chair has asked the question at line 21 about 12:07
 21 the individual circumstances of the patient and the
 22 patient's relative refers to bicalutamide. It's
 23 artificial reading from a transcript to give you the
 24 sense, but the point is in the next paragraph -- this
 25 is just the preceding paragraph: 12:07
 26

27 "In terms of the Bicalutamide, you know, somebody has
 28 mentioned a -- just to I get all this terminology -- a
 29 pathway, a clinical -- a standard for clinical

1 practice. "

2

3 And the Chair says:

4

5 "Sorry, you are reading from a document there?" 12:07

6

7 And she said:

8

9 "No, it's my own words. "

10 12:07

11 And she then says:

12

13 "It refers to standard clinical practice for Daddy's
14 management, so I presume that's something that's
15 written down that doctors are meant to follow. I would 12:07
16 have expected. . . "

17

18 -- and she mentions another doctor and you.

19

20 "...and Mr. O'Brien to have known that. Yet, 12:07
21 [the other doctor] and Mr. Tyson seen Daddy's
22 medication and never queried why he was on a low dose
23 of Bicalutamide. "

24

25 And this is the letter that she's referring to. 12:08

26

27 Now, whenever you were a registrar, were you aware of
28 the use of Bicalutamide 50 at all or in certain
29 circumstances?

1 A. No. But I clearly have done a discharge documenting
 2 it!

3 101 Q. Yes, yes, and it's really just to unpick the procedure
 4 around that. The Inquiry is looking at governance and
 5 perhaps how things get repeated or where there may be 12:08
 6 fault lines that could inform any of their
 7 recommendations. So it's just to see the way in which
 8 the procedure operated for the family we have raised
 9 this as an issue as well, obviously, and we just want
 10 to just understand. So from what you've said so far, 12:08
 11 you look at the patient's notes and you dictate the
 12 discharge letter based on the notes and is it the case
 13 that, in your position as a registrar and your
 14 knowledge at the time, that there was nothing to
 15 trigger a query from you around Bicalutamide 50 being 12:09
 16 prescribed as it was in this letter?

17 A. There was nothing at the time, as a first year
 18 registrar, for me to suddenly go "There's a pattern,
 19 there's something going on." It's a first year
 20 registrar doing a discharge for someone who has come in 12:09
 21 to have intravesical botox to the bladder, reading the
 22 paper, discharge summary of medication, and then also
 23 then moving on to the next summary of discharge,
 24 because our role at that point was to discharge -- to
 25 do dictated letters on all the inpatient activity. So 12:09
 26 I am sat there with lots of notes, going "Right, next
 27 one...". so I'm now looking at the function of that
 28 interaction, which was to come in and have botox in the
 29 bladder, and noting they are on medication and

1 follow-up with Mr. O'Brien.

2 102 Q. And we noted that the dates of the letter, the
3 dictation and the date of the procedure was roughly
4 a month apart. Was that normal procedure, that there
5 could be a delay? I know in your statement you've, if 12:10
6 I can say, you've made some guesses as to why there may
7 have been delay but there's no other evidence to
8 support any of that. And I know that you were on
9 annual leave for a week and study leave for a week in
10 June and it may have just been sitting there -- we 12:10
11 don't know the background. But just as a general
12 question, did you think that there was an issue around
13 delay and dictation? Was it something you noticed? It
14 does seem, at this remove, to be quite a long time
15 after the procedure. 12:10

16 A. Without reviewing all -- without reviewing the year and
17 looking to see what the average time of dictation was
18 for in the procedure, I wouldn't be able to give you
19 a reliable answer to that. But what I would say is --
20 I'd say two things -- I'd say the first thing is all 12:11
21 patients had a discharge upon leaving hospital, which
22 was the paper discharge, and there is a paper discharge
23 which Aidan O'Brien has undertaken for this patient
24 from that inpatient episode. The second thing is at
25 the time, there were two registrars, myself and one 12:11
26 other person, and it was a very, very busy job, and our
27 time to do discharges, we mainly did these when we were
28 on call. So, there may well be a difference between
29 the patient coming in and then patient having

1 a dictated letter. But between the two of us, we were
2 fulfilling the roles of on-call clinics, theatre, and
3 then discharges to dictate -- and, of course it's a
4 very busy unit so there are lots of discharges for
5 between the two of us to then sit and dictate. And, 12:11
6 also, we're reliant upon a set of notes to physically
7 arrive from where they prior were to the office to
8 where we would then have to dictate, and there was
9 likely a delay potentially in that as well, but also in
10 the time which we could go and sit down and potentially 12:12
11 do them.

12 103 Q. And what was your experience of what that was like for
13 other registrars when you went back as a consultant in
14 2019 and 2021? Did you think, well, this system has
15 improved, or is it the same -- does it still operate 12:12
16 the same way now?

17 A. No, so it operates differently now and that's why the
18 patient leaves with the electronic discharge summary,
19 which is printed out for them, copied to the GP and put
20 onto the Electronic Care Records for Northern Ireland. 12:12
21 So that's where it has improved. There is an immediate
22 visible discharge and it's online. So that bit's
23 improved. I can only speak from my practice and
24 certainly my colleagues there at present who dictate
25 letters after procedures, which is the correct thing -- 12:13
26 even if I'm on call and it's late at night, that
27 patient will have a dictated letter from me encountered
28 from theatre.

29 104 Q. And is that your own practice or is that something that

1 is a standard throughout the Trust or throughout
 2 urology in Craigavon at the moment? Do you understand
 3 the way other people do it?

4 A. That's the way I believe my current colleagues all
 5 work. But to apply the word "standard" and "policy", I 12:13
 6 am not aware of any standard or policy for the Trust
 7 that states that must be done in that way.

8 105 Q. I think we've covered the issue that you felt there was
 9 sufficient lines of access and support when you were
 10 there, was in 2019, and as a registrar should you have 12:14
 11 any concerns, and you have referenced in your statement
 12 that you felt that there was an assurance around risk
 13 by the availability of those systems in place, such as
 14 Datix that you've mentioned?

15 A. Yes. 12:14

16 106 Q. I just want to go to your statement again just to look
 17 at the learnings, some of the issues that you've
 18 provided us with some of your comments on -- WIT-42222,
 19 paragraph 66.2, and I just want to read this in. We
 20 have asked you: 12:14

21
 22 "Are you now aware of governance concerns arising out
 23 of the provision of Urology Services which you were not
 24 aware of during your tenure? Identify any governance
 25 concerns which fall into this category and state 12:15
 26 whether you could and should have been made aware and
 27 why. "

28
 29 And you say:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"I was a consultant between 24th February 2019 and 16th July 2019, including annual leave. I restarted working for the Trust on 24th October 2021. I am now aware of the following governance concerns:

12:15

I have been made aware that there was administrative issues of triage not being returned in a timely manner and that the administration team now ensures that they have accounted for all referrals and that the triaging doctor returns the outcomes in a timely manner. I had no triage concerns during 24th February 2019 to 16th July 2019, as my triage was always undertaken and returned during the on-call week."

12:15

Just stopping there for a moment, in relation to triage as it currently is -- I know we've have confined it to 2019 -- currently, what's the position regarding triage? Is that something that is manageable and managed by the consultants at the moment?

12:16

A. Well, we did advance triage in 2019. It's no longer completely advance triage now. But, yes, I still fulfil all the triage would be in the on-call week.

107 Q. And when you say it's not advanced triage now, has the system changed again somewhat since 2019?

12:16

A. It has, yes. So we used to do advance triage for a lot of the patients, especially the red flags and the urgents, and even just for some routines to try and prevent them from having an appointment if they're not

12:16

1 required. Given, however, there is very much a lack of
2 consultants and the backlog, in doing advance triage at
3 current, what that then does is if you have a hundred
4 patients to triage and say you do a hundred scans, when
5 are you physically going to follow those up? It's not 12:17
6 physically possible, at present, to do advance triage
7 in the way we used to do it.

8 108 Q. And that's because of the numbers, the staffing
9 numbers?

10 A. That's due to staffing, yes. 12:17

11 109 Q. Then you say at 66.4:

12
13 "The significant waiting times, Outpatient and Surgery,
14 for Urology, from becoming aware that the Trust had
15 long waiting list times for Outpatient routine 12:17
16 appointments and routine surgery as of 24th February
17 2019 to 16th July 2019 as a consultant, which were
18 known to management team and the Urology Department, I
19 have been since informed this was indeed on the Risk
20 Register in 2019 from discussions with Mr. Young in May 12:17
21 2022, and the number of patients awaiting surgery and
22 Outpatient appointments greater than I would have
23 expected."

24
25 So in relation to the waiting times, Outpatient and 12:18
26 Surgery For Urology, you've mentioned about 2019 again,
27 that period. In your return in 2021, I know you
28 mentioned it was the tail-end of Covid, but what's the
29 position now?

1 A. Well, from a -- well, from a stone perspective, much,
 2 much better.

3 110 Q. And do you have any knowledge of any other perspective?

4 A. For the routines, it has improved because of the
 5 outsourcing to the private sector. But, overall, there 12:18
 6 are still very considerable waiting times for, I would
 7 say, the majority of procedures.

8 111 Q. And again we mentioned the staffing issue just a moment
 9 ago -- would it be your view that the staffing is the
 10 major contributor, the sole factor, or are there other 12:19
 11 areas that you see could have been improved that might
 12 assist the Inquiry's considerations?

13 A. The predominant issue is a resource and staffing
 14 perspective. During the Covid period, there clearly
 15 wasn't enough theatre and capacity to keep on trying to 12:19
 16 decimate what was long lists and, therefore, you have
 17 a result of waiting lists going up exponentially, in
 18 a way. And therefore, when I returned, I have come
 19 back to very long considerable lists of patients who
 20 potentially haven't had operations for years. 12:19
 21

22 So the access to a theatre and then a surgeon to
 23 undertake it, if it hasn't been going on for a period
 24 of time, you are going to have a huge backlog. And
 25 then you'd have a period of time whereby you are 12:19
 26 overrunning everything to get rid of the backlog, but
 27 it is a considerable backlog to undertake. So an
 28 example would be the PCNLs for the complex stones, in
 29 the past two years we've undertaken or I've undertaken

1 predominantly a huge number of those surgeries,
2 including extra weekends, operating on Saturdays and
3 Sundays, and extra lists to reduce that list
4 considerably, but it's only by over-working can you
5 decimate what is a backlog. 12:20

6 112 Q. And the availability of those weekend slots to try and
7 catch up, is that something that's regularly provided
8 or is it on an ad hoc basis when the staff can manage
9 to fulfil those roles at the weekend?

10 A. So it's predominantly on ad hoc basis when there is 12:20
11 funding and provision for that to undergo. So
12 I offered myself to do those weekends, but there is
13 limited number of theatre nurses (a) to undertake those
14 extra weekends. So I can offer up weekends and then
15 I'm given a certain number and then we undertake them, 12:21
16 but it's not something which I found that every weekend
17 you could just go and work and try and reduce these
18 lists.

19
20 Then the other thing is I offer extended days too, so 12:21
21 my wednesday operating list, can I work and put a third
22 case on in the evening -- so we're trying to find
23 nurses for the next few months to try and extend the
24 day of the operating. So instead of being from 9:00 to
25 5:00, can we go from 9:00 to 8:00 and add an extra 12:21
26 complex case upon them?

27 113 Q. At paragraph 66.5, you said:

28
29 "I have been informed of the recommendations from a

1 department meeting from 31st March 2022 - I could not
2 attend meeting due to clinical commitments - referring
3 to SAI recommendations MDT action plan."

4
5 And then you say at 66.6:

12:21

6
7 "66.6. Wendy Clayton, Urology Manager, has provided
8 assurance that any urology governance concerns are now
9 discussed at Head of Service meetings.

10 12:22

11 66.7. The Head of Service, Wendy Clayton, now provides
12 a weekly update to the Urology team on a Thursday at
13 12:15 each week, providing any Urology Inquiry updates,
14 team performance and including waiting list times and
15 initiative work to external providers. Vacant urology
16 consultant posts x 2 impacting on the delivery of
17 urology waiting lists."

12:22

18
19 So you've mentioned the staffing previously, but that
20 seems to be a slight change in the weekly updated
21 Urology team meetings on a Thursday; is that a
22 generally, if I could describe it, as an open forum for
23 people to discuss any issues arising or of concern or
24 potential concern?

12:22

25 A. It is. And the other thing to note is it's changed
26 from a weekly to a monthly meeting, and that's to
27 ensure that everyone can attend and be present, rather
28 than having people missing from a meeting and then
29 decisions being made where people need to be present to

12:23

1 hear what's going on. So it's important to have
 2 a meeting with everyone in and flag the time so we can
 3 all attend. And the only exception to that is there
 4 will always be someone on call and you can't say to
 5 someone unwell and needs to be seen by the on-call team 12:23
 6 during that meeting -- I mean, occasionally, that does
 7 happen, as it happened to myself on that meeting, I was
 8 the on-call surgeon.

9 114 Q. And do you think the attendance is good at the monthly
 10 meeting then? 12:23

11 A. Yeah, the attendance is very good. And the other thing
 12 -- credit to, I think, to Wendy Clayton -- it is a very
 13 open meeting whereby the middle grades are invited to
 14 the meeting. The nurses are invited to the meeting.
 15 Because what you want at a department meeting is the 12:24
 16 department -- the consultants don't make a department,
 17 it's the whole team makes the department.

18 115 Q. If we move down to 67.1, we have asked you at 67:
 19
 20 "Having had the opportunity to reflect, do you have an 12:24
 21 explanation as to what went wrong within Urology
 22 Services and why?".

23
 24 And you say at 67.1: 12:24

25
 26 "what appears to have gone wrong is failings in a 12:24
 27 process, a process of ensuring that concerns of staff
 28 shortages from a doctor and nursing perspective are
 29 addressed to provide suitable care, a process of

1 ensuring that regular audit of processes is undertaken
 2 and disseminating to the department. Audit is a cycle,
 3 not a single occasion event, and resources and time to
 4 the provision must be provided. "

12:24

6 Now, your experience has focused on the staffing issue
 7 that you consider were the contributor during that
 8 period of time. The Inquiry has heard evidence more
 9 broadly. But the mention of the audit, the regular
 10 audit of processes, what's your understanding now of
 11 what the audit of processes are that are undertaken
 12 that would provide some reassurance about the
 13 non-reoccurrence of the issues that we have been
 14 discussing?

12:25

15 A. Well, it's probably best to split that between benign
 16 and then cancer because I can speak of my experience of
 17 being with the MDM, the audit processes that are now in
 18 place are very reassuring -- they are reassuring to
 19 many parties, to patients, but also to as yourself, as
 20 a clinician, you want to know that what you are doing
 21 is right, and what you're doing happens, and so there
 22 is an audit process in place to make sure the decisions
 23 that are made are undertaken. There are audit
 24 processes to show that are the right number of people
 25 at meetings and, if not, why not? So audit is
 26 massively important.

12:25

12:25

12:25

28 From a stone perspective, which I can speak of in
 29 certainly a lot more detail, in 2019 I instigated an

1 audit on the outcomes of ESWL to make sure that what
2 treatments patients were having were in keeping with
3 recognised standards and, therefore, the outcome from
4 it is they are in keeping with the recommendations as
5 regards success rates, as well as very low complication 12:26
6 rate, and so we have made sure that we have looked at
7 that. It's also a rolling process, so this isn't
8 something which you do once and forget about. Audit is
9 a cycle.

10
11 So we then have to have periods of time of when do we
12 then re-audit to make sure that these things are still
13 maintained. And from the audit itself, if improvements
14 are required to meet a standard or a guideline, that
15 then things are improved, and just not changed. 12:26

16
17 And then there's other audits we undertake as well for
18 the stones, such as the calcium audit which has been
19 undertaken numerous times, to ensure that patients who
20 do present to the Emergency Department, part of the 12:27
21 protocol which we wrote ensured the patients who came
22 in had a calcium done, because we know very rarely if
23 you're high in serum calcium, it could be very
24 dangerous to a patient. And there is a World Health
25 Organisation case study of a patient who presented in 12:27
26 another hospital somewhere else who died of a high
27 calcium that wasn't picked up.

28
29 So it's having these processes in place and making sure

- 1 that you recognise what the standard and guideline is,
2 and then to re-audit, is vitally important for the
3 running of a department and a process.
- 4 116 Q. And does that take place currently?
5 A. Yes. 12:27
- 6 117 Q. And when you talk about the stone, I know that's your
7 area of expertise, is there an appetite or, in reality,
8 does it happen that there's shared best practice
9 between, for example, benign and cancer, and you talk
10 to each other about what works for each specialty? 12:27
- 11 A. Yes, so it's very important that as a team and
12 a department, also viewing the wider view of urology in
13 Northern Ireland, that we all talk and we are all on
14 the same page. And this is where we move towards
15 having regional services, but also in the departments 12:28
16 themselves, everyone is on the same page of what is
17 going on -- because you have to understand what is
18 going on to understand how you access even services in
19 your own specialty, and what is available and how these
20 things work. So it's vitally important that any 12:28
21 process in any department and the wider picture,
22 everyone is on the same page of understanding how these
23 things work and how things can be improved and where
24 we're going. So you need to have a roadmap and
25 everyone on the same page. 12:28
- 26 118 Q. And while that may be the ideal scenario, in practice
27 has it been your experience that when you do identify
28 potential areas of improvement -- I know we talked
29 about one of them earlier in relation to your specialty

1 -- that management, medical management, other types of
 2 management within the Trust, is that embraced when you
 3 bring those suggestions to them? Is there an appetite
 4 to bring about change that will result in a better
 5 service? 12:29

6 A. In our department at present, there's definitely an
 7 appetite of improvement to make things better.
 8 Bringing it to, say, more senior aspects of management
 9 in a Trust and then the broader picture of Northern
 10 Ireland itself, there's always an appetite to improve. 12:29
 11 What I can't comment on is the pressures that are put
 12 on then on other parts of services and how can they
 13 provide for us, when knowing they have other things to
 14 provide for as well. There are other factors which I
 15 can't per se take into consideration from their 12:29
 16 decisions. An example being is that I would recommend
 17 there are two nurse specialists for stones -- there are
 18 not two nurse specialists for stones. But from
 19 a funding perspective and a management perspective, I
 20 can advocate and say why that needs to happen. 12:30
 21 From their perspective, they then have to look at the
 22 broader picture of saying, well, how do we fund all
 23 these services and provide for them? I can only
 24 advocate and then keep on advocating why that needs to
 25 happen. 12:30

26 119 Q. I have covered a lot of topics with you. We've gone
 27 through the main parts of your statement that I want to
 28 highlight. Given what you have read about the Inquiry
 29 and the information you have been provided to inform

1 your statement, and the ultimate aim of the Panel is to
 2 make recommendations that might assist in preventing
 3 any recurrence of governance failings that they may
 4 consider have been found on the evidence, is there
 5 anything you'd like to add or to contribute at this 12:30
 6 point, given your experience to date?
 7 A. On the top of my head, no, but if you come back to me
 8 when I leave, probably, yes!
 9 120 Q. If you think of something on the way home! But just at
 10 the moment, are you content that we have covered all of 12:31
 11 the information you consider relevant for your
 12 evidence?
 13 A. Yes.
 14 MS. McMAHON: Chair, I have no further questions.
 15 CHAIR: Thank you, Ms. McMahon. We can't just let you 12:31
 16 go just yet, Mr. Tyson! I am going to hand you over
 17 first of all to Mr. Hanbury, who I am sure will have
 18 some questions for you.
 19
 20 MR. TYSON WAS THEN QUESTIONED BY THE PANEL, AS FOLLOWS 12:31
 21
 22 121 Q. MR. HANBURY: Thank you very much, Mr. Tyson, very
 23 interesting. I've just got a few clinical questions,
 24 which hopefully you can answer them fairly quickly.
 25 Your research in Birmingham, what was that related to? 12:31
 26 A. That was medical education.
 27 122 Q. Do you still do a lot of that now or...?
 28 A. Yes, I'm the Urology lead for Ulster University -- the
 29 module lead for Urology at Ulster university. I also

- 1 have responsibilities for training the registrars as
2 their clinical supervisor or educational supervisor, as
3 well as a role of the FY1 for their clinical
4 supervision as well. And I have also had a lot of
5 students for projects for audits. I also help to 12:32
6 facilitate the current registrars -- I have a quality
7 improvement for audit projects as well.
- 8 123 Q. Okay. So, moving on to -- then, you did a research
9 project at the Southern Trust?
- 10 A. Yeah. 12:32
- 11 124 Q. That was stone-related again, was it?
- 12 A. That was stone-related, yes --
- 13 125 Q. And --
- 14 A. -- in the ESWL.
- 15 126 Q. -- were there particularly sort of audits you did or 12:32
16 part of that that drove your enthusiasm for what came
17 next and the regional initiatives?
- 18 A. Yes, it comes down to the obvious thing. It's when you
19 have a single centre that has an on-site lithotripter
20 and you have a region and you have one area that has 12:32
21 access to it and everyone else doesn't, or some centres
22 have access to it but the rest don't and other centres
23 have a lithotripter coming on the back of a lorry, on
24 a ferry, may or may not arrive, depending on if there's
25 a storm, isn't there all the time, it seems like a very 12:33
26 obvious thing to offer your neighbours equity.
- 27 127 Q. So, going on from that, in your statement, it seems to
28 be only running, or was in 2021, about three days
29 a week, or something like that; I mean, has that been

1 a source of frustration, to not get that --

2 A. Yes, it was a huge source of frustration, back when
3 I did the research for them, to show that you could
4 reduce your inpatient elective -- sorry, your inpatient
5 operating on ureteric stones, you could decrease the 12:33
6 number of patients who went to theatre by using the
7 machine that's not being used.

8 128 Q. And so how did you take that forward - with the
9 Clinical Director or the Head of Service?

10 A. So, myself and Mr. Young presented the data at a senior 12:34
11 management meeting, to show that, I think it was around
12 55% of patients could avoid going for theatre but be
13 offered ESWL. It's not to say every patient would want
14 that choice; it's about giving patients choice. But
15 running a lithotripter three days a week - which often 12:34
16 wasn't even a full three days a week, I think it was
17 two-and-a-half sessions - doesn't really make much
18 sense. So we were trying to give the data to show
19 that, actually, if you provide and resource this piece
20 of equipment, we could reduce the number of patients 12:34
21 and the pressure on an emergency list and, electively,
22 you could do more patients by giving them timely
23 treatment because they will opt for it if they say,
24 "right, what's the current waiting list for ESWL?" I
25 can tell you, currently, you could have it within two 12:35
26 weeks. Back then, it was months to years. So,
27 patients would look at it and go, "well, hang on
28 a minute, I will probably just go for the operation
29 then".

1 129 Q. Okay. So, thanks for that. When you came back in
 2 2019, you then ran a prospective audit of the
 3 lithotripter again. Did that seem to stop when you
 4 left or did that carry on?

5 A. So, it carried on, and Una Lappin was the research 12:35
 6 radiographer. I tasked her with the -- in one of her
 7 parts of her role was to audit the outcome and
 8 complication from using the lithotripter, to ensure
 9 that the treatments we were providing were in keeping
 10 with the treatment success rate in current literature, 12:35
 11 and they are, and also to reassure that the machine
 12 itself didn't have overly high complication rates, and,
 13 reassuringly, it doesn't. It also then raised other
 14 aspects of, how do you then future-plan for a regional
 15 service as regards staffing? And also, even the 12:36
 16 machine we use, based on, can we get parts for it? And
 17 the parts need to be on the island of Ireland, the
 18 engineer needs to be on the island of Ireland to keep
 19 the service running.

20 130 Q. Yes, okay. Thank you. So, you came back to Southern 12:36
 21 Trust, and then moved on after six months or so; that
 22 was a fellowship, was it?

23 A. Yeah, yeah, a fellowship.

24 131 Q. What was the subject? What was that?

25 A. That was only into complex stones, so I only took a lot 12:36
 26 of PCNL surgeries.

27 132 Q. And that was in?

28 A. New Zealand.

29 133 Q. You seemed to stay at that a long time; was that --

1 that was Covid-related, was that --

2 A. Subject to Covid- and family-related meant we couldn't

3 come back, so I stayed on and then I came back in --

4 I restarted in October 2021.

5 134 Q. But your original intention was not to stay quite that 12:36

6 long, was it?

7 A. No.

8 135 Q. Okay. Thank you. That's enough on stones. We have

9 heard quite a lot about waiting-list management and how

10 it's done differently, perhaps, in Southern Trust. I 12:37

11 mean, what was your view of the -- being sent Excel

12 spreadsheets of all the patients under your name every

13 week or every period to try and sort out -- I mean, did

14 you think that you needed more help in that respect, or

15 what was your personal view on that? 12:37

16 A. My personal view is that there now is a urology

17 booker --

18 136 Q. Yes.

19 A. -- and you need administrative help to fulfil that role

20 because the waiting lists are so large that they can be 12:37

21 a little bit overwhelming; you are thinking, right, who

22 do you pick and how do you operate? The obvious thing

23 everyone says is, right, well, it's the person who is

24 last on the list. The reality of that is, it isn't the

25 case, and the reality is you need a three-pronged 12:37

26 approach and then it is very time consuming. So I give

27 an example of PCNLs, is, I can't just take the exact

28 last person, but I'm very aware of them and I plan to

29 then do them, but I have to update their imaging, I

1 have to see them in clinic, because time has changed
2 that person, their comorbidities in the situation. So
3 you have to be very mindful of taking the next person
4 who is due on the list, and, at the same point, you
5 have to say, right, who on this list is going to come 12:38
6 to harm? who is hiding in that list that needs to
7 actually be next on that list? And then the third
8 thing is, you have to be aware of, well, what happens
9 if you have cancellations? You need to maximise the
10 resources you have. So I have been very clear on 12:38
11 having a shortlist of people I can bring in very last
12 minute who I know are really well and aren't going to
13 cause the anaesthetic department -- and I know their
14 urines will be negative when they get tested, so the
15 list is used. So you have to do it in three different 12:38
16 approaches to try and maximise, one, your resource and
17 also try and tackle the problem.

18 137 Q. So when did that schedule come in?
19 A. So the schedule had started in the past few weeks.

20 138 Q. Right. So, up until then, it was purely down to the 12:39
21 Urologist to sort it out?
22 A. Yeah.

23 139 Q. Yes, okay. Thank you. We are aware of one particular
24 sort of poor outcome when the theatre checklist, the
25 pre-ureteroscopy urine culture hadn't been done or 12:39
26 there was a problem with pre-assessment and it went
27 ahead and there was perhaps a poor outcome there. I
28 mean, do you have rules that you abide by in terms
29 of --

1 A. Yeah.

2 140 Q. -- that particular surgery?

3 A. I do, and I want just to state that patient was not my
4 patient. I chaired the SAI for that case. It is very
5 clear that stone surgery has risk and it's very 12:39
6 important to have a negative urine culture or, if you
7 have a positive urine culture, to undertake antibiotic
8 either treatment or prophylaxis, and I say prophylaxis
9 because certain patients you can only decolonise, you
10 can't eradicate them of their infection until you have 12:40
11 removed, often, an infected stent or the infected stone
12 itself, but there are very clear guidelines in the EAU
13 and NICE on a requirement of urines, and the NICE
14 guideline, I think, states, if it will change your
15 practice, you should undertake a urine culture. If 12:40
16 that urine culture is positive for stones, it would
17 change your practice because you wouldn't operate on.

18 141 Q. So, looking back, that patient should not have got
19 through the surgical huddle or the WHO checklist --

20 A. I believe when we look -- 12:40

21 142 Q. How do you think that should have went?

22 A. I believe the one from which I -- which I am
23 recollecting for the SAI which I chaired on behalf of
24 the Trust, that patient had had a urine and that
25 patient had been on antibiotics. 12:41

26 143 Q. All right. Just a couple of things on the Urologist of
27 the week and job planning. You've stated that
28 recruitment was a problem, you never really had more
29 than about five urologists, but yet it seemed to be

1 done on a one-in-seven, is that correct?

2 A. Yes.

3 144 Q. why did you do that rather than just doing
4 a prospective cover and then -- I don't quite
5 understand the thinking behind it?

12:41

6 A. I think before I had taken my first consultant role
7 there, there was six consultants, seven to be
8 appointed. I have -- I would have to go back and do
9 the maths exactly on how many were there. The unit was
10 set up to provide a one-in-seven consultant unit and
11 they wished to make sure they filled these vacancies.
12 why have they not decreased it to a one-in-five? It's
13 because, if we are always on call, then a lot of
14 elective work will not be getting done. So the unit
15 has relied on locums to come and do on-call weeks in
16 order for elective work, to ensure that also then keeps
17 on going.

12:42

12:42

18 145 Q. Okay. Thank you. That clarifies it. Just in terms of
19 the always being on-call every day for a whole
20 seven-day period, most departments I have had -- asked,
21 don't do that. I mean, that's a lot of time without
22 downtime, without rest, whatever, and you have a busy
23 night. what's your view on that? Do you think, you
24 know, if you have got a young family, do you think that
25 fits well with family life and other responsibilities?

12:42

12:43

26 A. It's not something which you would want to undertake
27 for the rest of your career, because it is a very busy
28 unit. If a unit wasn't that busy, then it would be
29 a very reasonable on-call period, potentially, but

1 given the busyness of the service, I would personally
2 advocate to splitting the on-call week up into two
3 sections, to have two separate on-call periods.
4 I agree with you, from a personal perspective and
5 a career-longevity perspective. 12:43

6 146 Q. And did you have those discussions at your management
7 meetings or --

8 A. Yes, we have, and there are proposals to split the
9 on-call week up into two sections.

10 147 Q. To change things, okay. That's very useful. I guess 12:43
11 one other thing: You specialise more in benign cases,
12 so just my question really is, referring more complex
13 cases, is that easy, say - I am thinking about
14 paediatrics, andrology, complex gynae, and things like
15 that - is that easy to do or are you -- do you feel 12:44
16 that -- is there a departmental feeling you have to do
17 it in-house?

18 A. No, there's definitely not that feeling. It's
19 providing the best form of care for a patient to go to
20 the best person who should do that, and that's why the 12:44
21 regional -- looking at our regional models is
22 incredibly important, and sometimes looking outside of
23 Northern Ireland, to make sure that person goes to the
24 right place, and so there are times we've referred --
25 have referred to David Ralph in order to make sure 12:44
26 patients go to the right person with the right
27 experience. As regards paediatrics, ideally, from
28 a stone perspective, we should have a paediatric stone
29 service. The only paediatrics I provide for stones is

- 1 ESWL, but we are not funded for a paediatric service
2 and nor do we have the numbers of consultants to
3 undertake that.
- 4 148 Q. I suppose, maybe, mid/lower tract paediatric
5 dysfunction -- 12:45
- 6 A. Well, then we refer to the paediatric urologists in the
7 Royal Victoria.
- 8 149 Q. Okay. One final question: This is the sort of --
9 there seems to be a lack of weekly X-ray meeting.
10 I know it did happen historically on a Thursday 12:45
11 morning, maybe before you started or maybe it was there
12 when you were a registrar. What's the opportunity for
13 you and your colleagues to discuss complex cases, not
14 necessarily stones - say, renal abscesses, prostate
15 abscesses, complex duplications, PJ obstructions, that 12:45
16 doesn't fit into a cancer MDT obviously, and there
17 doesn't seem to be a forum for that?
- 18 A. So there used to be an X-ray meeting where there was
19 the forum for that. Certainly, in returning in 2021,
20 that forum no longer exists. The radiologist -- the 12:46
21 Radiology team themselves are very short-staffed in the
22 Southern Trust, and it is something which I believe
23 everyone is aware that does need to happen, but we need
24 the numbers and the time to undertake that, and
25 I completely and 100% agree with you, that forum is 12:46
26 required.
- 27 150 Q. Okay. Thank you very much. Thank you.
- 28 CHAIR: Thank you, Mr. Hanbury. Dr. Swart?
- 29

- 1 151 Q. DR. SWART: Just following on from that, we have, I am
 2 sure you know, seen a lot of evidence in relation to
 3 various lookback reviews and the whole variety of
 4 cases. When you were a registrar, for example, and
 5 certainly when you came back, was there any kind of 12:46
 6 regular meeting where the consultants would challenge
 7 each other on perhaps unusual operations or things that
 8 were extremely tricky, such as benign cystectomy or
 9 various operations of that sort? Were you exposed to
 10 that as a registrar at all? 12:47
- 11 A. Not as a meeting, no, not that I can think of.
- 12 152 Q. No. Was there any sort of practice of discussing it at
 13 the end of ward rounds or any other forum that you came
 14 across? You may not have been as a registrar, but...
- 15 A. There was a, what they called a grand round in 2012. 12:47
- 16 153 Q. What happened at that?
- 17 A. So that was a ward round where all the consultants
 18 would be present to view -- to go around the patients,
 19 to discuss their management.
- 20 154 Q. And what was the level of challenge provided to 12:47
 21 people's management in that atmosphere, or can you not
 22 remember?
- 23 A. I can't remember anything overtly that would come to my
 24 mind of saying that...
- 25 155 Q. But in the Outpatients scenario, would people have 12:48
 26 a way to bring difficult cases? Because we have seen
 27 some of these that have come through --
- 28 A. Yes.
- 29 156 Q. -- and I wouldn't want to comment on the -- the actual

1 clinical cases themselves, but just to think of the
 2 forum for saying, "Look, I have got this really tricky
 3 case, you know, what would you do? what would you do?
 4 who would you ring in England, or in America, even?
 5 what would you do?" Did you come across any of that? 12:48

6 A. Well, certainly, in 2012, there was the X-ray meeting
 7 still being present, so there was the ability, at that
 8 meeting, to bring cases to say --

9 157 Q. But it might not have been an X-ray type of
 10 meeting/discussion. Were there any other quality 12:48
 11 meetings that you were aware of?

12 A. No, no. But certainly, I don't think the title of the
 13 meeting should stop someone bringing --

14 158 Q. It shouldn't, but it's a question of what the practice
 15 was. 12:48

16 A. Right, okay, yeah.

17 159 Q. So, you could say, "while we are all here together, can
 18 I ask you", but do you think people were open to that?
 19 Do you think they discussed each other's practice to
 20 that degree, going back then? 12:49

21 A. I mean, certainly from the time of the X-ray meeting, I
 22 can only --

23 160 Q. Yes.

24 A. -- that's the only forum I can think and describe,
 25 there was conversation of "what would you do? I am 12:49
 26 bringing this case. what would you do? what's
 27 everyone's view?" And from that perspective, yes, from
 28 there, yes.

29 161 Q. And you felt that was an open atmosphere? It wasn't --

- 1 A. That X-ray meeting was an open atmosphere. It was
2 early, I think around eight or half eight on a -- I
3 can't remember the day.
- 4 162 Q. Okay. Just going on to audit, clearly that's improved
5 in recent years. When you were a registrar, was there 12:49
6 a big focus on audit at that time, that you can
7 remember?
- 8 A. I wouldn't say there was an overly big push on audit,
9 so to speak. I did undertake audits --
- 10 163 Q. Mm-hmm. 12:50
- 11 A. -- because, as a trainee, we recognise the importance
12 of undertaking an audit.
- 13 164 Q. Yeah.
- 14 A. And so, as trainees, we did undertake them.
- 15 165 Q. But there wasn't a regular programme that you were 12:50
16 aware of, in terms of the department having prioritised
17 audits along a --
- 18 A. No, not that I can remember and, once again, I was
19 there for a short period of time and I -- they may or
20 may not have had a role in an audit programme that we 12:50
21 were unaware of, but we come in for a short period of
22 time, we do an audit, we go, and they then do it again
23 the following year or the year after. I couldn't
24 comment on that time because -- we did do audits.
- 25 166 Q. But you are doing them now for -- 12:50
- 26 A. Yes, yes, I did them as a registrar and I do them now.
- 27 167 Q. Yes, okay. There's a nice little e-mail where you come
28 up with your ideas for improving the stone service, and
29 we have talked about that. My question to you was:

1 was that worked up into a proper business case with an
 2 agreed incremental approach and did they involve you in
 3 that? Did they sort of say, "well, this is what's
 4 happening, this is the cost, this is the cost benefit"?
 5 was that given any kind of formal credence? 12:51

6 A. So the cost benefit side I had already done myself and
 7 presented to them, so they had the data from me, and
 8 that, then, formed the business case with the managers'
 9 - and the managers then showed me the business cases.

10 168 Q. But did you get a formal idea of the desire to 12:51
 11 strategically implement that over a period of years in
 12 terms of the staffing and resource that you have drawn
 13 attention to?

14 A. Yes, so if I give you an example of ESWL, there was
 15 a strategic plan from Wendy Clayton to show how we roll 12:51
 16 out the service, for which I was involved in how we
 17 clinically roll it out, to make sure that we don't sort
 18 of jump too fast --

19 169 Q. Yes.

20 A. -- and make sure we roll it out. The staffing thing 12:51
 21 has always been an issue.

22 170 Q. But you can't roll it out without the staff, so that's
 23 really my question: where does that sit? From your
 24 perception, where did that sit in the Trust hierarchy?
 25 Was your Clinical Director involved, for example, or 12:52
 26 did you have any other information as to how that sort
 27 of tension between finance and quality and other
 28 priorities was going to be resolved? Did you get any
 29 feedback from people about that?

- 1 A. So I received feedback from Wendy Clayton and Lynn
 2 Lappin, who is now the Acute Director of Surgical
 3 Services, on what is currently available and what
 4 funding we have to advertise for those roles, so there
 5 is funding, and I was very, very clear that a service 12:52
 6 doesn't get rolled out if you don't have people to do
 7 the work.
- 8 171 Q. No. I mean, again, though, did you have support from
 9 a Clinical Director in that, or who was your main
 10 support? You have mentioned Mark Haynes? 12:53
- 11 A. So, Mark Haynes and Wendy Clayton were two big
 12 supporters, but I think it's very, very important, in a
 13 regional service, to note the other supporters and the
 14 other stakeholders involved in this, and that would be
 15 David McCormack from the Civil Service, who was 12:53
 16 massively proactive and behind us.
- 17 172 Q. I am just trying to get a sense of where it went in the
 18 Trust hierarchy, because, theoretically, you have
 19 a Clinical Lead, a Clinical Director, an Associate
 20 Medical Director, a Medical Director, plus all the 12:53
 21 management hierarchy and Acute Services, and there
 22 needs to be a link in terms of how the Trust supports
 23 you with the Civil Service, as you state. Did you
 24 think that -- was that clear to you, how that worked?
- 25 A. It was clear that Wendy Clayton and Mark Haynes were 12:53
 26 talking to the management structure above them within
 27 the Trust, and I and Mark Haynes and Wendy Clayton
 28 spoke directly to the Civil Service for our
 29 requirements as well.

1 173 Q. Okay.

2 A. So -- but it's not for me to jump up above Mark Haynes
3 and Wendy Clayton --

4 174 Q. No, no, I am not suggesting that --

5 A. -- those conversations -- 12:54

6 175 Q. I am trying to sort of get a sense of how you were
7 interacting with some of the other intermediaries in
8 the Trust, because mostly it goes through a Clinical
9 Director kind of structure?

10 A. Yes. 12:54

11 176 Q. It's not material in any other way, just how you were
12 supported. It's really obvious, we have got huge
13 numbers of patients waiting in every corner of every
14 service to do with elective surgery in Northern
15 Ireland. These patients, as you have said, will be 12:54
16 coming to harm, they will be changing, things will be
17 happening. Who do you think is setting the tone for
18 dealing with this and is there anybody giving direction
19 to clinical teams as to how they should approach
20 assessing the harm for people on waiting lists and 12:55
21 prioritising it in the way you have described? Are you
22 getting any sense of that?

23 A. Well, I can only speak from experience from urology,
24 and it's very important to appraise the waiting lists
25 to find those patients and know what's going on, know 12:55
26 who still needs an operation, know who needs one sooner
27 and know people who can actually come off the waiting
28 lists, because there will be people who will come off
29 it, and so I can speak from a stone perspective. We

1 did a piece of work where either I, myself, or Laura
 2 McAuley have appraised parts of our waiting list, but
 3 also David Connolly has also appraised the Southern
 4 Trust's ureteroscopy waiting lists as well, to ensure
 5 that those patients are appraised, and so it's very 12:55
 6 important that that actually happens; it forms
 7 recommendations as part of, I think, the GIRFT report
 8 as well, so we are reviewing what's there.

9 177 Q. Is there any central direction in this regard? Do you
 10 think that Northern Ireland, as a whole, is saying all 12:56
 11 teams must do this, or is this something you just
 12 realised you had to do?

13 A. No, certainly David McCormack, at our regional
 14 meetings, as well as being very clear upon making sure
 15 we are appraising waiting lists, so David McCormack has 12:56
 16 been excellent and certainly champions to make sure
 17 those things are happening, and if we need help --

18 178 Q. You can get it?

19 A. You can get it. And it's about knowing the
 20 stakeholders involved in order to benefit these 12:56
 21 patients. Can I talk for all the other specialties and
 22 everything else in Northern Ireland --

23 179 Q. No, no, I realise you can't. I just wondered whether
 24 there was a general direction to this very obvious
 25 problem. 12:56
 26 A. Yeah.

27 180 Q. What do you think should be done at this point? You
 28 have, several times, mentioned Northern Ireland as
 29 a whole. Reorganisation, you know, if you had a blank

- 1 page, what sort of approaches are needed to actually
 2 overcome this problem, which is now not that obviously
 3 easily soluble?
- 4 A. To sum it up in a very brief way would be very
 5 difficult and I am very mindful of not oversimplifying 12:57
 6 the issue in hand. There are multiple problems and I
 7 -- and I like your approach of saying, if we had
 8 a blank page, what would we do, and certainly I would
 9 agree that may be a very good way of looking at it,
 10 going "hang on, how do we start again?" It's very 12:57
 11 important to look at the Bengoa Report and GIRFT
 12 Reports and actually look at their recommendations and
 13 action them. We have actioned certain parts in
 14 Urology, such as ESWL and what will be a complex stone
 15 service, but I completely agree that, from the broader 12:57
 16 picture - I can't speak for all other specialties - but
 17 certainly, as a region, that is what needs to happen.
 18 There are five Trusts for a population of 1.9 million.
 19 Why are there five Trusts for a population of
 20 1.9 million? How much duplication of work is there 12:58
 21 potential? Do patients all have equity depending on
 22 where they live? I am going to guess the answer to
 23 that is no. So I think the Bengoa Report and the
 24 recommendations need to be --
- 25 181 Q. And are you aware of any progress that's actually been 12:58
 26 made against the Bengoa Report?
- 27 A. So I can only speak for the part I'm involved in, for
 28 Urology, so an example of that would be an elective
 29 care centre, such as Lagan Valley.

- 1 182 Q. Yes.
- 2 A. So, there, that got started in 2022, and the idea
3 behind that is, patients who are fit and healthy enough
4 to be discharged the same day, so, for that, that is
5 a lot of ureteric stones, to try and prevent stents 12:58
6 being in for a long time; that is, potentially, bladder
7 outlet surgeries and that is inguinal scrotal
8 pathologies. So, from that perspective, that has been
9 really good, and that is something which could be, for
10 other specialties, looked at as well. Is Lagan Valley 12:59
11 enough for Urology in Northern Ireland? The answer is
12 no, you need more than one centre. And I have said
13 this at many regional meetings, that Omagh needs to
14 come online as is the next elective-care setting,
15 because Lagan Valley is not enough. 12:59
- 16 DR. SWART: Okay. Thank you, that's all from me.
- 17 183 Q. CHAIR: Thank you. Mr. Tyson, just a couple of things
18 that I'm not clear about in respect of triaging. The
19 expression "advanced triage", what exactly do you mean
20 when you talk about "advanced triage"? 12:59
- 21 A. So, advanced triage is looking at the referral you have
22 from the GP and going, does this patient require a scan
23 or a blood test before that patient arrives to the
24 service as regards urology? So it could be that that
25 patient requires a CT urogram for visible blood in the 13:00
26 urine, which means that, when they turn up for their
27 flexible cystoscopy, their imaging has already been
28 done, so you can -- you reduce, potentially, the number
29 of appointments the patient has, for urology, to be

- 1 incident, and then you are writing to the patient to
2 say, "This is your result. We agreed this plan. I
3 have booked you another scan for one year's time. If
4 you wish to see me in clinic or wish to see me for any
5 other reason, please let me know and I will see you, 13:02
6 otherwise all the information has been given."
7 So, every month, I will sign and dictate potentially
8 around 200, so I -- so I, sign off, sorry, around 200
9 scans a month; the majority of those are virtual.
- 10 187 Q. Okay. Now, coming back to what you are now doing in 13:02
11 terms of triage, is there a risk there, if the scans
12 aren't done, does that mean that the person languishes
13 on a waiting list for longer and may be deteriorating
14 on that waiting list?
- 15 A. The answer is yes, there is always that potential, but 13:02
16 not every Urology Service in the UK and Ireland
17 undertake advanced triage, so it's not a standard upon
18 which we've suddenly stopped, and there is still the
19 ability to bring a patient to a hot clinic to see that
20 week or to book that patient to scan, so there will 13:03
21 still be certain occasions when you think they are not
22 quite wanting to be seen in a hot clinic, you know that
23 they're a red flag patient, I am going to book them
24 that scan because there is something in it that's
25 worrying from the GP information given. But can you do 13:03
26 it for every single person then? well, there's not the
27 resource at present to have that time, at present, to
28 do it for everyone.
- 29 188 Q. Thank you, that's helpful. Just one final question

1 from me: Are you -- you have obviously given in your
 2 notice and you are moving on to pastures new, but are
 3 you aware of any steps that the Trust have taken to
 4 fill your role?

5 A. Yes, so recruitment and retainment are two different 13:03
 6 things, but recruitment is something I have been very
 7 vocal about at our meetings, on how we recruit. And
 8 there are, I'm told, three new urologists coming in
 9 some part of the first half of 2024, which have been
 10 recruited from the initiative in India. 13:04

11 189 Q. And again, retention is something that clearly is still
 12 in issue for the Trust?

13 A. It is, but, in leaving, I have also been very mindful
 14 of making sure that everything I have left has
 15 a succession plan in place, to make sure services do 13:04
 16 keep on running.

17 CHAIR: Thank you very much, Mr. Tyson, I have no
 18 further questions. Ms. McMahon?

19 MS. McMAHON: I have no further questions.

20 CHAIR: Okay, ladies and gentlemen, that concludes 13:04
 21 today. We are due to sit again at 10 o'clock tomorrow
 22 morning and, unless you hear otherwise, we will see you
 23 all then.

24
 25 THE INQUIRY WAS THEN ADJOURNED TO WEDNESDAY, 13:05
 26 8TH NOVEMBER 2023 AT 10 A. M.

27
 28
 29